Transcript from National Grid Natural Gas Long-Term Capacity Report Public Meeting[1]

March 31, 2020

Coordinator: Welcome and thank you for standing by. At this time, all participants are in a listen-only mode until the question and answer session of today's conference. At that time, you may press star 1 on your phone to ask a question.

I would like to inform all parties that today's conference is being recorded. If you have any objections, you may disconnect at this time. I will now turn the conference over to Mr. John Bruckner. Thank you, sir. You may begin.

John Bruckner: Thank you, (Denise), and good evening, everyone. My name is John Bruckner. I'm the president of National Grid New York. I want to welcome you to the public meeting on National Grid's Long-Term Natural Gas Capacity Report.

This was originally scheduled to be an in-person meeting in Riverhead, Suffolk County, for throwing a provision of the company's November 2019 agreement with New York State.

---

[1] Provided by MyMeetings.

In that agreement, National Grid committed to researching and publishing a report that offers potential long-term solution options to address down State of New York's recognized natural gas constrain issue.

National Grid issued this report in February of 2020 and scheduled a series of public meetings to hear from our customers and other stakeholders to understand their expectations and opinions on how we together can solve the energy challenges that faced our region.

Because of the outbreak of the Coronavirus and in consideration of the well-being of the public and our employees, we've had to cancel these face-to-face meetings except for the in-person meeting we held on March 9th in Hicksville, Long Island.

To provide an alternate way to help you understand the report in our findings. We scheduled a series of these virtual meetings to achieve the same objective, to share information and answer any questions you may have on each of the options, as well as, hear from me directly during the oral comment period.

As with many companies and state agencies around the country, National Grid has activated its business continuity plans and is in part leveraging teleconference and Webinar-based technologies to stay connected with our stakeholders, communities and our employees.

And we've set up these virtual meetings to ensure we can still have a meaningful engagement with the public on these vital energy matters and meet our obligations to New York State to have a long-term solution or solutions in place by the winter of 2021-22 to meet the needs of the customers in New York City and Long Island.

Before we get to the run of the show and how the session's going to work, I'd like to just give you some context and other important information.

New York has seen dynamic economic growth in the downstate region expanding residential and non-residential building space and thousands of oil to gas conversions over the last ten years.

These factors have resulted in a substantial increase in the demand for natural gas placing stress on our existing gas network and threatening National Grid's ability to meet our customer's demands when peak is at - when demand is at its peak.

This leaves little room for error in the face of unplanned supply interruptions or other contingencies. And as part of the November 2019 settlement agreement with New York State, that lifted that moratorium on new gas connections imposed in May of 2019.

We're taking measures to ensure we have enough supply for the winters of 2019 through 2020 and 2020 through 2021 including increasing reliance on compressed natural gas otherwise known as CNG Trucking when needed to meet peak demand.

Beyond the next two winters, however, continued growth in the demand for natural gas creates a challenge that must be addressed. The long-term natural gas capacity report presents ten options to solve for that challenge.

It's important to note that the long-term solution options we're presenting and the various combinations of these options working together have different implications to how long we continue to rely on CNG Trucking to meet peak

demand and whether we might have future restrictions on new gas connections.

Also of note, low carbon solutions will be an important part of reaching longer term clean energy goals. While formally now part of tonight's discussion, National Grid is partnering with third parties to develop renewable natural gas solutions, exploring hydrogen blending and power to gas all to help decarbonize the gas network.

We're also (unintelligible) with geothermal heat pump solutions with partners like NYSERDA and we continue to implement clean energy solutions throughout our entire service territory in the U.S.

This includes solar, wind, battery storage and EV stations. All of this information can be found on our dedicated long-term capacity report Web site, NGrid.com/longtermsolutions.

In addition to the full detailed report, the Web site also features a shorter summary report to better help the public understand the options. To further aide in transparency and understanding, we have updated the report on the Web site to include technical appendix that lays out even more of the details of our analysis and assumptions, as well as, estimates of how the costs of the different options would impact our customers over time.

The Web site also features other methods of sharing your feedback beyond tonight's public meeting. You can take a survey to share your views on the various options and I encourage you to do so.

You also will find instructions on multiple ways you can submit comments directly through the New York State Public Service Commission. Also on the

Web site you can find information about our financial assistance programs for residential and small business customers who are inconvenienced because of the moratorium last year. Please, visit the Web site and find out more information.

So let's begin tonight's meeting with some guidance on how the session will work. We'll begin the session by showing you videos on each of the options within each of the following three categories: Large infrastructure, distributed infrastructure and non-infrastructure.

After we view the complete set of videos on each of the options, we'll open up the phone lines for a 30-minute of Q&A session specifically related to those options.

This is the Q&A portion of the meeting, your opportunity to ask clarifying questions on any of the options. We have subject matter experts on the line to answer any specific question you may have on any of the options.

I just want to be clear, this is not the time to express views and opinions. This will only be dedicated to asking clarifying questions on any of the options. When your line is open, we'll ask you for your name, your ZIP code and your affiliation.

Whether you are a customer or part of an organization and then you can ask your question. In order to engage as many callers as possible during a 30-minute session, I would ask that you limit your questions to one, but I understand at times they do have some sub-parts. So we'll try to get in as many as we can.

The Q&A session will be recorded, transcribed and submitted unabridged through the New York State Public Service Commission. And then finally, we'll open the lines for you to have an opportunity to provide feedback and express your views during the public oral comment period.

When you come on the line, we will ask you, again, for your name, your ZIP code and affiliation, and then you can make your statement. We'll be limiting all comments to two minutes. Your comments will be recorded, transcribed and submitted unabridged through the New York State Public Service Commission.

One final note (unintelligible) the meeting is a respectful exchange of information and ideas. While there may be some disagreement on how we get there, we're all here to solve for energy solutions that address the needs of current and future generations and we look forward to hearing from you on how best to meet those challenges.

So we'll now read - we'll now screen the videos on each of the options. The videos will be played in the following order: Three large infrastructure options -- which we'll include in offshore LNG Deepwater port -- an LNG import terminal and the Northeast Supply Enhancement Project, then four distributed infrastructure options which will include Peak Liquefied Natural Gas facility, a liquefied national gas barges, the Cove Links Transmission Project and the Iroquois Enhancement by Compression Project.

And then finally we'll see three non-infrastructure options which will include one on energy efficiency, demand response and finally electrification.

As you view and listen to the videos, please get your questions ready. Once we complete viewing and listening to all of the videos, each of the option - and each of the options we will begin a 30-minute Q&A session.

You will need to press Star 1 to get into queue to ask your question. Thank you and (Bill), let's play the first set of videos, please.

(Bill): We will now play the videos for the three large infrastructure options.

((VIDEO PLAYING)) [All videos are available online here: https://ngridlongtermsolutions.com/]

Man 1: Offshore LNG Deepwater Port involves the installation of an offshore buoy connected to one of the existing undersea pipelines that currently supply the downstate New York region.

Connected to this buoy would be a floating storage and regasification unit, an LNG bulk delivery ship. This ship can store more than 3 million dekatherms of LNG and then vaporize it for injection into the pipeline to accommodate peak demand and potentially help meet daily demand during the year.

Unlike the gas pipeline solution, this option stores a finite amount of natural gas and is replenished via ship-to-ship transfers. There are two potential locations where this could be installed: One on the Long Island Sound and the other in the Atlantic Ocean off the Rockaways.

The (unintelligible) shed impacts should be minimal given the distance from the shore. Each location would be capable of delivering 400,000 dekatherms per day capacity. If this option comes to past, it's highly reliable.

What would the impact be on the environment? During construction, the impact includes disturbance of the seafloor, decreased water and air quality, increased sedimentation, noise and waste generation.

Once operational, the floating storage and regasification unit and refueling tanker can be expected to generate stack and cooling water emissions. Greenhouse gas, GHG emissions from an LNG system present a climate impact 10 to 15% greater than a standard natural gas solution.

Given its offshore location, the community impacts of this option should be minimal. We expect full implementation of this option within six to eight years.

If you render in port, you know each option carries some execution risks and considerations. Until this infrastructure comes online, we would have to retain our compressed natural gas trucking operations for periods of peak demand and we'd have to implement a series of incremental energy efficiency, demand response and electrification measures to further reduce demand.

If these measures do not predictably meet target volumes or timelines before the infrastructure comes online, there would have to be restrictions on new customer connections.

We estimate the total cost of this option including the infrastructure and the demand side program to be 1.9 billion in our low-demand scenario and 2.22 billion in our high-demand scenario.

Female 1: A liquefied natural gas or LNG terminal involves building the infrastructure necessary to accommodate LNG carrier ships including an LNG receiving facility, onshore storage, regasification and transportation components.

Such a facility would be able to accommodate peak demand and help meet daily demand during the year. It would provide 400,000 dekatherms per day of natural gas capacity.

This is a highly reliable option; however, it is more vulnerable to severe weather events than the floating LNG and LNG barge options we presented. This is an option used all over the world and National Grid has experience with LNG facilities both here in the U.S. and in the U.K.

What would the impact on the environment be? It would be equivalent or slightly higher than those associated with the offshore LNG Deepwater Port and higher than pipeline development.

Greenhouse gas emissions would have a climate impact of 10 to 15% greater than the standard natural gas solution. There would be significant impact to the community resulting from construction and operation and before it ever came to pass, it would require changes to or a waiver of existing New York State law that limits land storage of natural gas.

Pending this necessary change to the law, we estimate the timeline to this option to be five to six years. If you've read the report, you know each option carries some execution risks and considerations.

Until this infrastructure comes online, we would have to retain our compressed natural gas trucking operations for periods of peak demand and we'd have to implement a series of incremental energy efficiency, demand response and electrification measures to further reduce demand.

If these measures do not predictably meet target volume or timeline before the infrastructure comes online, there would have to be restrictions on new customer connections.

We estimate the total cost of this option including the infrastructure and the demand side programs to be 2.46 billion in our low-demand scenario and 2.78 billion in our high-demand scenario.

Man 2: The Northeast Supply Enhancement, or NESE Project, involves the construction of an interstate pipeline by Williams Companies, Incorporated to transport natural gas from Pennsylvania to New York to New Jersey via the Raritan Bay and Lower New York Bay.

The pipeline would include approximately 23.5 miles, approximately 17 in New York of underwater pipeline to the Rockaway Peninsula in Queens. It would provide the downstate region with 400,000 dekatherms per day of natural gas capacity.

This option is extremely reliable and fundamentally resistant to above-ground weather events. The environmental impact of construction would be similar to offshore LNG Deepwater Port albeit over a larger geographic area.

This impact includes disturbance of the seafloor, decreased water and air quality, increased sedimentation, noise and waste generation. Ongoing operations will have a much lower effect on the environment and greenhouse gas emissions are expected to be 10 to 15% lower than any of our LNG options.

Community impacts would be minimal with most of the construction happening offshore. There is some onshore construction in New Jersey in Brownfield sections and Williams' existing footprint.

In the future, the carbon steel pipeline material would allow hydrogen to be transported helping significantly assist with carbon reduction goals. Assuming the option receives New York State and New Jersey permit approval by June 2020, we estimate this project can come online by December 2021.

Because this has the fastest estimated infrastructure timelines and once in place has very high reliability, it provides the highest degree of certainty that there will not be restrictions on new customer connections.

And once the infrastructure is online, we would be able to mothball compress natural gas trucking and reduce in contracted peaking supplies which would eliminate a source of supply with higher emissions and provide us with some contingency capacity.

This option would cost 1.82 billion in the low-demand scenario and 1.83 billion in the high-demand scenario.

((VIDEO ENDS))

(Bill): We will now play the videos for the four distributed infrastructure options.

((VIDEO PLAYING))

Female 2: A peak liquefied natural gas, or LNG facility, is one of our distributed infrastructure options. It would involve construction of a new LNG peak

shaving facility plant and related infrastructure like what we already have in Greenpoint, Brooklyn and Holtsville, Long Island.

This is a highly reliable option and is in use throughout the United States. We have 12 of these facilities across our Massachusetts, Rhode Island and downstate New York service areas, but to get this option up and running would require a change to or waiver of New York State law that limits land storage of natural gas.

Once online, this option can potentially provide up to 100,000 dekatherms per day to meet periods of peak demand. The environmental impact for this project would be moderate including decreased air quality, pollution to storm water and other runoff disruptions in natural resources and habitats, noise and waste generation.

It does, however, have a smaller footprint compared to our larger infrastructure LNG options. This option would have to be cited within a community, most likely within an industrial zone.

This option would have greenhouse gas emissions similar to our other LNG options and 10 to 15% higher than standard natural gas solutions, but remember, this option would only run to meet peak day demands.

Assuming changes or a waiver from current New York law, it's estimated a new site would be operational in five to six years. This option does carry some execution risks and considerations until it comes online.

Because the solution only fills part of the gap between demand and supply and is estimated to take five to six years to come online, it would need to be paired

with a series of near-term and ongoing incremental energy efficiency, demand response and electrification measures.

The phase demand reduction measures do not predictably meet target volumes or timelines. There would have to be restrictions on new customer connections. In addition, unless demand reduction can predictably exceed targets, we would have to retain our compressed natural gas trucking operations for periods of peak demand.

The estimated total cost of this option including both the infrastructure and the demand side programs is 1.49 billion in our low-demand scenario and 2.54 billion in our high-demand scenario.

Man 3: Liquefied natural gas, or LNG barges, are one of our four distributed infrastructure long-term options. This option involves the purchase and construction of one or more specialty LNG barges with vaporization equipment onboard.

These barges would be towed to locations to allow them to transfer LNG from a variety of land and sea-based sources and inject vaporized gas into the existing onshore pipeline.

This option can provide potentially up to 50,000 dekatherms of peaking capacity per barge. If used in tandem, total supply would double to 100,000 dekatherms per day.

This is a reliable option and the barges can be strategically placed at multiple locations assuming permit approvals. The environmental impact would be similar to the offshore LNG port solution, but at a smaller scale with

disturbances of the seafloor, decreased water and air quality, increased sedimentation, noise and waste generation.

The only construction required is a new pier and short pipeline to an existing onshore connection. In addition, there would be visual impacts to water views during the winter and there may be loss of waterside recreation use in the immediate area due to the size of the barge system and security perimeter developed during the citing process.

We estimate the total implementation time for this project to be five to six years. Because this solution only fills part of the gap between demand and supply and is estimated to take five to six years to come online, it would need to be paired with a series of near-term and ongoing incremental energy efficiency, demand response and electrification measures to reduce demand and completely close the gap.

If the demand reduction measures do not predictably meet target volumes or timelines, there would have to be restrictions on new customer connections. In addition, unless demand reduction can predictably exceed targets, we would have to retain our compressed natural gas trucking operations for periods of peak demand.

The total estimated cost of this option including both the infrastructure and the demand side program is 1.36 billion in our low-demand scenario and 2.42 billion in our high-demand scenario.

Female 3: Clove Lake Transmission Loop Project is one of our distributed infrastructure long-term options. It would involve construction of approximately 8 miles of new 30-inch steel transmission main across the borough of Staten Island.

It will help our ability to take more gas through the Techo (unintelligible) Tank Station and ultimately move more gas across our system to supply constrained areas.

When complete, it can provide approximately 70 to 100,000 dekatherms per day of baseload capacity to support daily demand and it would be used to support the system year-round.

This is a historically very safe and reliable method of transporting natural gas. Most of the environmental impact will come from construction. It would involve installation of a new gas main across sections of the heavy-populated urban environment and would possibly impact multiple highways and/or small water crossings during installation.

Because of the proposed route, we would need a mitigation plan to minimize disruption to residents, businesses and traffic. Once operational, the impacts will be minor as little ongoing maintenance will be required.

Greenhouse gas emissions will be comparable to similar gas mains in the current distribution system. Once operational, this option will have lower emissions than the liquefied natural gas options or compressed natural gas trailers and trucking.

Initial estimates indicate that this option could be in service by November 2025 at the earliest making the timelines five plus years. Because this option only fills part of the gap between demand and supply and is estimated to take five plus years to come online, it would need to be paired with a series of near-term and ongoing incremental energy efficiency, demand response and electrification measures to reduce demand to completely close the gap.

If the demand reduction measures do not predictably meet target volumes or timelines, there would have to be restrictions on new customer connections.

In addition, unless demand reduction can predictably exceed targets, we would have to retain our compressed natural gas trucking operations for periods of peak demand.

The total estimated cost of this option including both the infrastructure and the demand side program is 1.57 billion in our low-demand scenario and 2.63 billion in our high-demand scenario.

Man 4: The Iroquois Enhancement by Compression Project is one of our distributed infrastructure long-term options. It would involve the construction of additional compression facilities to increase capacity on the Iroquois gas transmission systems, IGTS, existing infrastructure to transport natural gas from the U.S./Canadian border at Waddington, New York, to the existing system located in New York State and Connecticut to the existing interconnection with our gas distribution system at Commack, Long Island.

When complete, this option can provide up to approximately 125,000 dekatherms per day of baseload capacity. We would split this capacity with (ConEd). So we would each add 62.5 dekatherms per day to our respective systems.

This would enhance reliability to our system especially to the gate delivery point serving our most eastern-bound customers. Above-ground weather events and manmade events such as traffic and automobile accidents would not impact availability of the natural gas supply.

This option will have a moderate impact on the environment. As construction will take place on an already existing line, the impact will be focused on locations already developed.

As part of this project, Iroquois plans to further reduce methane and overall emissions at sites by installing low nitrogen oxide, NOX turbine units, that will reduce NOX emissions by 40% over standard turbine units.

Potential greenhouse gas emissions will also be mitigated by Iroquois's proposal to install methane recovery systems. All permitting policy and regulatory requirements must comply with (FERC) regulations and other appropriate federal, state and local agencies.

The project filed a formal application with the Federal Energy Regulatory Commission in February 2020 and is expecting a decision on approval by early 2021.

Assuming timely approvals, the project can be in service by November 2023. Because this solution only fills part of the gap between demand and supply and is estimated to take three years to come online, it would also be paired with a series of near-term and ongoing incremental energy efficiency, demand response and electrification measures to reduce demand to completely close the gap.

If the demand reduction measures do not predictably meet target volumes or timelines, there would have to be restrictions on new customer connections. In addition, unless demand reduction can predictably exceed targets, we would have to retain our compressed natural gas trucking operations for periods of peak demand.

The total estimated cost of this option including both the infrastructure and the demand side programs is 1.11 billion in our low-demand scenario and 2.22 billion in our high-demand scenario.

((VIDEO ENDS))

(Bill): We will now play you videos for the three non-infrastructure options.

((VIDEO PLAYING))

Female 4: Incremental energy efficiency is one of our non-infrastructure long-term options. It would involve building upon and expanding the base and incremental new efficiency New York programs with a more aggressive program offering that reduces annual energy consumption and design day demand.

It will focus on gas efficiency savings with a key focus on intensive weatherization measures and will require extensive customer and trade ally engagement and training.

This option can potentially provide 111 to 216,000 dekatherms of design day savings. When implemented, this option will lead to passive energy and design day savings. Its key, however, that we're able to ramp up quickly and start realizing impact by winter of 2021-'22.

There is no additional environmental impact as work will only be completed on existing structures. Overall, this would result in a reduction of greenhouse gas emissions for less natural gas consumption.

To be successful, we'll need to further develop a wide range of contractors and suppliers who will need to hire additional employees to support the spending over the duration of the program.

These investments will go directly into the downstate economy and any bill savings will go directly to customers. This option will require a significant increase in level of efforts across the entire energy efficiency network including growth in a number of contractors, staff in local permitting offices, and increases in company employees.

The program would have to scale up by 2025 to become similar in size to our current successful program in Massachusetts. This solution requires a series of incremental energy efficiency, demand response and electrification measures that start to have predictable impact on peak demand by the winter of 2021-'22 and continue to grow their impact at a size and pace that enables existing National Grid gas supply to meet customer needs.

If the demand reduction measures do not predictably meet target volumes or timelines, there would have to be restrictions on new customer connections. In addition, unless demand reduction can predictably exceed targets, we would have to retain our compressed natural gas trucking operations for periods of peak demand.

The total estimates cost for this option is 1.51 billion in our low-demand scenario and 2.62 billion in our high-demand scenario. This includes the total cost for the entire no infrastructure portfolio of energy efficiency, demand response and electrification required to close the gap between supply and demand.

Man 5: Demand response is one of our non-infrastructure long-term options. Compared to other non-infrastructure options, demand response is more cost-effective and can be ramped up more quickly.

That's because demand response will leverage existing equipment at customer premises. The overall challenge with this option is related to the overall number of eligible customers we have and the challenges that multi-family and commercial customers have in maintaining a backup source of heat typically fuel oil for use in temperature control or non-firm programs.

Those who fall under the temperature control category include those multi-family and some commercial and industrial customers who we ask to switch off of natural gas and move to another fuel source, typically fuel oil when the temperature drops below a certain level.

For example, 16 degrees Fahrenheit. We also have thermostat setback programs where we provide an incentive for residential customers to turn down their thermostats during cold weather events.

Implementing this option would require new rate design programs that encourage these customers to remain on non-firm rate programs. If implemented, we estimate approximately 81 to 108,000 dekatherms of design day savings.

One of the risks with this option is that there's no guarantee that customers will switch to their alternate fuel as they can still use natural gas. Accordingly, the number of participants during an event can fluctuate and not meet projections thereby putting reliability at risk.

We feel, however, this could improve over time as the demand response program matures. There's little or no incremental impact to the environment with this option.

In addition, there will be a limited impact to the climate as demand response will reduce energy use during peak periods, but some of this displaced energy will swing to non-peak periods.

Meanwhile, non-firm customers switching to an alternate fuel, typically fuel oil, will result in higher greenhouse gas emissions. In the future, fuel oil could be transitioned to renewable fuels such as biofuels which would help reduce environmental impact.

This option requires New York Public Service Commission approval including incentives and total investments before the program can begin and it will impact permitting, policy and regulatory activities at the local and state level.

This solution requires a series of incremental energy efficiency, demand response and electrification measures that start to have predictable impact on peak demand by the winter of 2021-'22 and continue to grow their impact at a size and pace that enables existing National Grid gas supply to meet customer needs.

If the demand reduction measures do not predictably meet target volumes or timelines, there would have to be restrictions on new customer connections. In addition, unless demand reduction can predictably exceed targets, we would have to retain our compressed natural gas trucking operations for periods of peak demand.

The total estimates cost for this option is 1.51 billion in our low-demand scenario and 2.62 billion in our high-demand scenario. This includes the total cost for the entire no infrastructure portfolio of energy efficiency, demand response and electrification required to close the gap between supply and demand.

Female 5: Electrification is one of our long-term non-infrastructure options. This option presents us with an opportunity to reduce designed day natural gas consumption by converting customer space heating energy source from natural gas to electricity.

We could achieve this by using cold climate heat pumps which operate efficiently even at cold temperatures and they can be installed and operated without a fossil fuel backup heating system.

If we assume a robust incentive program is in place and effective, incremental electrification can yield a range of 52 to 86,000 dekatherms per day in design day demand reduction.

To achieve these reduction levels, we estimate we'll need 5,000 to 15,000 incremental customers per year starting in 2021 to move to electric heat cooking and industrial use.

Once implemented, this is a reliable option to reduce forecasted design day demand. It's important to know that if customers retain gas for other uses; however, such as for cooking, water heating or as a backup heating source, the design day savings will be less than anticipated.

There is minimal current environmental impacts with this option; however, the reduction of gas consumption will be largely offset by an increase in

electricity consumption with some studies showing higher current emissions for electric power than natural gas in the short-term.

Longer-term, due to the forecasted decarburization of New York's electric supply incremental electrification will result in decreased emissions. For electrification to really take hold, we'll need to create an ecosystem that will include a wide range of contractors and suppliers who will need to hire additional employees to support the spending over duration of programs and it will mean growth in total electric customers and electric demand requiring permitting, policy and regulatory requirements to be in place, equating to significant start-up costs and resources.

The biggest challenge with electrification right now is both the up-front and ongoing costs. The current cost of installation is often twice as high as the typical natural gas heating unit.

In addition, electric prices are relatively high in downstate New York and would likely lead to overall increase in customer's annual energy utility bill. For this option to be economic in this region, we'd have to see big increases in heat pump efficiency or big reductions in electric prices.

Electrification requires a series of incremental energy efficiency, demand response and electrification measures that start to have predictable impact on peak demand by the winter of 2021-'22 and continue to grow their impact at a size and pace that enables existing National Grid's natural gas supply to meet customer needs.

Note, if the demand reduction measures do not predictably meet target volumes or timelines, there would have to be restrictions on new customer connections.

In addition, unless demand reduction can predictably exceed targets, we would have to retain our compressed natural gas trucking operations for periods of peak demand.

The total estimates cost for this option is 1.51 billion in our low-demand scenario and 2.62 billion in our high-demand scenario. This includes the total cost for the entire no infrastructure portfolio of energy efficiency, demand response and electrification required to close the gap between supply and demand.

((VIDEO ENDS))

(Bill): John, the videos on each of the options is now completed.

John Bruckner: Thank you, (Bill). And we'll now begin the Q&A session which will last 30 minutes and will be followed by a public comment period. We have subject matter experts on the line to answer any of your specific questions you may have on any of the options cited in the report.

I want to be clear, this is not the time to express your views or opinions. This will only be dedicated to answering questions or clarifying questions about any of the options. When your line is open, we'll ask you to - for your name, ZIP code and affiliation and then you can ask your question.

So Operator, let's go to the first question, please.

Coordinator: Thank you. That comes from (Mary). Please state your affiliation and your ZIP code.

(Mary): Hello. My name is (Mary). I'm with (Patagonia). My ZIP code is 11365.

John Bruckner: Go ahead, (Mary).

(Mary): Hello. Good evening. My question is regarding the floating LNG vessels and barges specifically. What kind of impact on air and water quality? And before you go ahead and say you need to run some tests, I'm just going to say coming to New York you know our stance on fracking. So you should've come prepared.

Second, and more importantly, what is going to be the impact and chance if God forbid there isn't a leak or an explosion, which we're seeing unfortunately happen increasingly across the board from energy providing companies?

John Bruckner: Hi, (Mary). Operator, before we lose (Mary), do we still have here there? I just want to make sure I have her question which was about the impact or the potential for any leak or explosion.

And the first one I believe was about the impact of greenhouse gas on barges; is that what the first question was, (Mary)? I wasn't clear.

(Mary): My question was you said that there is going to be an impact and disturbance in air and water quality regarding the plodding LNG vessel and barge that you'd like to put in place.

John Bruckner: Okay.

(Mary): Yes, thank you.

John Bruckner: Okay. Very good. Thank you, (Mary). Excellent question. So with that, we have (Bryan) on the line. (Bryan), can you address (Mary's) concerns?

(Bryan): Yes, absolutely. I think it's a great question. I have just a couple of points there. As part of assigning any facility that would include a maritime delivery point, we would need to go through a pretty rigorous process with the United States Coast Guard. That's called a Waterway Suitability Assessment.

And as part of that, we would need to do some pretty comprehensive studies around the specific impacts of any project that was proposed in waterways that, you know, around Long Island or anywhere for that matter and I think another, you know, factor that's important to discuss is that the locations that have been outlined in the larger report are all well-trafficked maritime areas to this point.

And so, you know, we tried to take that into consideration and even in the earliest stages of development that, you know, we were looking at sites that would have the most minimum impact on those kinds of considerations. Thank you for your question.

John Bruckner: And (Bryan) or (Tony), concerns about - that (Mary) had raised with respect to weeks and potential - you know, as she said, I believe explosions. (Tony) or (Bryan), can you (unintelligible)?

(Tony): I'll take that one. Thank you. And if I may just add a little bit to (Bryan's) comment on air and water quality, in watching the videos, you know, we say in the videos and in the report that there's increased impacts in air and water quality.

What we're representing there is the fact that these ships have an engine room, okay? So they when they're at sea and when they're transporting the LNG from somewhere outside this region to this region, they will create greenhouse gas emissions by running the engine on the ship.

The water impacts those engines use seawater to cool their, you know, parts, if you will, through heat exchanges.

So there will be some water going into pipes and coming out of pipes. It's separate from the engine, but still, you get some thermal pollution there as well.

And then the other aspect is if we did any construction on the seabed floor there is temporary impacts due to sediment and the other things that are explained in the video.

With the comments about accidents, explosions, et cetera, we had a good question like this the other night as well and I'm going to refer back to that because that caller brought up the Sandia Labs report that Congress had asked for in the late 2000's.

Sandia Lab report is the basis for all citing and all action analysis of the Coast Guard, (FERC) and all other federal agencies will use in citing something like this and they take the worst case scenarios and they use - they not only talk about how big of a leak there could be, but they take into consideration threats including attacks with handheld emissions, explosions, hijackers, attacks by boats with - and airplanes with or without explosives and underwater mines.

They do this analysis, identify how big of a leak is possible and then they require whoever the project developer is to, you know, do the modeling and figure out what the impact would be from something like that.

Unfortunately, since 1959 when LNG started being shipped over the water, there's never been a breach or a leak. So it had a very strong safety record. But those type of impacts are considered in the citing and would be addressed.

So I thank you for the opportunity to explain that a little bit better.

John Bruckner: All right. Operator?

Coordinator: And the - thank you. The next question comes from (Matt Gove). Your line is open. And please state your affiliation and ZIP code.

(Matt Gove): Hey, my name is (Matt). I'm at 11217 in Brooklyn and I work for the Surf Rider Foundation. Do I just go ahead then? Okay.

John Bruckner: Yes, go ahead, (Matt). Go ahead.

(Matt Gove): All right. Yes, I had a few little questions about the trucks. You're talking about trucking compressed natural gas CNG, not LNG, I believe. Just wondering what are the current amounts right now yearly of how many CNG trucks coming into New York City and where do they come from and then are they - would they be supplying - you talked about an LNG peak or plant. Would that be supplied with trucks or would that hook into a pipeline?

I think those are my questions about trucks.

John Bruckner: All right, (Matt). I think I got that. You know, you're really concerned about the amount of trucks and we'll go through that information where are they coming from and then certainly you kind of rounded that out with, you know, if I had to surmise it as how are they being used, right, how are they being connected, how are they being used?

So if that's your questions -- at which I think they are -- excuse me, I would ask (Pete) - (Pete), are you on? Can you address some of those concerns with respect to the CNG trucks? And also the concern whether it's CNG -- which is Compressed Natural Gas -- versus LNG, Liquid Natural Gas.

Can you address those, (Pete)?

(Pete): Yes, I can, John. Thank you for the opportunity. So with regard to CNG trucking, those trucks are going to be coming from upstream of our service territory because the gas that they bring in needs to be incremental to what can be delivered to our system during a peak weather period.

If those trucks were to merely fill off of our existing system, those trucks would merely take gas that has already come through the constrained deets on our system and just move it around within the system.

So it needs to be incremental to the system in order to be a value. As it stands right now, those trucks would be filled generally from somewhere either in Pennsylvania, New Jersey or upstate New York and then bring that gas from that location to the downstate New York gas system where it would be injected at one or two existing locations or potential third location.

The current - the past winter we would require 44 trucks per day in order to meet the peak demand. We - during this past winter we had one day where

we operated the trucks in February. We only did the morning of - so we only used half of that number of trucks, the 22 number trucks, and those trucks basically come in, they are degassed and then they leave the island with in a depressurized state, which is a small amount of trace gas that's left on them compared to how they come in.

And then they would be refilled and then have to come back again. So they would need to make a trip from here to their location, be refilled and then brought back.

With regard to LNG trucking, as it stands right now, there is no LNG trucking. If we were to do LNG trucking, it would solely be for the purpose of refilling our existing tanks. We would not be looking to take any gas from the tanks and truck it away because our existing tanks right now have a fixed inventory and that inventory is required to meet our peak demand in winter periods not just on the peak days, but throughout the entire winter period.

So that inventory in those tanks is spoken for to - for the entire winter. It would not make any sense for us to take any of that gas and try to truck it out of the downstate area. We would only be looking to truck gas - LNG in.

And in that instance, we would only be looking to truck LNG in under a very heavy winter load where we were not able to replenish the tanks to our normal liquefaction process that takes place in the off-peak periods of the year.

So there is - so as far as a trucking load right now, none of the LNG that we use in our existing facilities is trucked in and if we ever did truck it in, it would solely be to replenish the tanks to a level that allowed us to meet the remaining winter load and after that we would go back to our normal liquefaction process to refill the tanks. Thank you for your questions.

John Bruckner: Hey, (Pete). The only thing I'd add is when you say that the trucks are degassed, just to add a little more clarity to that, when the trucks come into the region and they go to a location that we've instructed to take the CNG trucks, we hook up hoses to those trucks and hook those hoses up to a main pipe, if you will, and then that pipe is actually integrated right into our system.

So that's how they're degassed. We actually hook up a temporary hose connection to that truck, get the gas out of the truck under very high pressure and push it into the system.

So I hope that answers your question, (Matt). Operator, next question.

Coordinator: Up next is (Jay K. Kaniffa). Your line is open. Please state your affiliation and ZIP code.

(JK Canepa): Yes, hi. (JK Canepa). I'm with Sane Energy Project and my ZIP code is 10009. My question relates to the increasing likelihood of intense storms. As the only customer of the Williams Northeast Supply Enhancement Pipeline, I'm wondering how National Grid is ascertaining that a pipeline buried under the waters of New York Harbor would not be vulnerable to the increased presence of massive super storms such as Super Storm Sandy that dug many, many feet of the seafloor up and I witnessed myself through it on top of buildings and homes along the ocean.

So how do you know that this pipeline is not going endanger the community given that the public - the Pipeline Hazardous Materials and Safety Agency is struggling and understaffed?

What are the precautions that you believe are being taken to protect the pipe that's going to produce the gas for your grid?

John Bruckner: All right. Thank you, (JK). I think the theme of that question really was about protecting the Northeast Supply Enhancement Pipe and what the impact of storms would be on that as it relates to any damage because of the - you know, the storm impact.

So I'd like (Robert), if you could address that question with respect to the storm impact and also if you could just shed some light on the vulnerability of, say, the NESE Project compared to some of the other options with respect to storms, but really focus on NESE, if you would, based on the question?

(Robert): Sure. Sure, John. Yes, with regard to the pipeline that's proposed 23-mile lateral through Raritan Bay and New York Bay, we, you know, have a long-term - we have many contracts with the Williams Pipeline.

There are existing lines into Floyd Bennett Field and also into Brooklyn, Staten Island and these pipelines have been in existence during many storms in our area including Super Storm Sandy.

So our confidence in the reliability of those pipelines during storms is very high because they are buried pipelines. And NESE, of course, is going to be installed in a similar fashion to existing pipelines in the area.

With regards to the other options and comparing NESE to the other options -- which are, you know, floating LNG, things that are above the water or docked near land or, you know, above grade on land -- NESE should be considered more reliable than those options as more things come - go along with things that are exposed to the air during storms such as Super Storm Sandy.

John Bruckner: All right. Thank you, (Robert).

(Robert): Thank you for your question.

Coordinator: The next question comes from (Raya Salter). Your line is open. Please state your affiliation and ZIP code.

(Raya Salter): Hi. My name is (Raya Salter). I'm an attorney policy organizer with the New York Renews Coalition and I'm also a member of the New York State Climate Action Council and I'm in ZIP code 10804 and speaking in my personal capacity right now.

Thank you, everybody, for your presentation and having these experts. I really appreciate it. And my question is as follows: The report that you put forth itself, you know, I heard the presentation and you do speak about emissions reductions, but the report itself says on page 18 while this report looks to environmental consideration, it does not go into an assessment of broader CLCPA emissions reduction goals out to 2050 or attempt to project exactly how different solutions will reduce those goals.

So that by my light was required by the CLCPA, the Climate Leadership and Community Protection Act that was passed last session and went into law this year, there are significant requirements in that loss of both emissions reductions and benefits to disadvantaged communities among others.

I'm unclear that this plan without that assessment is compliant with the law. So my question is what are your plans to become compliant with the CLCPA which is now a law in New York State?

John Bruckner: All right, (Raya). I thank you very much for your question. (Cameron), I believe you're on the line. Can you address how the impact of the CLCPA and how that's addressed with respect to the report?

(Cameron): Yes, thanks for the question. I think, you know - look. We - I mean, I think as we stated in the report and as you read some of the sentences there, we did not do a 30-year environmental study on every option.

We do believe, and I think the - you know, there's one more sentence in - you know, in what we wrote there is that we believe there are multiple pathways to achieving significant emissions reduction.

We are looking at the different approaches that are supportive of these goals. You know there's been multiple studies which we reference in the report that look at different long-term options to decarbonize -- to decarbonize the gas network and to achieve significant emissions reductions.

Many of those studies actually in fact conclude that there needs to -- the most effective way of doing that is a combination of utilizing gas infrastructure in the gas network along with you know the right places to utilize electrification. An electrification of heat.

And so we do believe there are multiple pathways there that can help us achieve these goals. Also in the report we do talk about some of the things that we expect and want to continue to pursue regardless of you know, the full package of solutions that we get to. And those include things like the utilization, the increased utilization of renewable natural gas, where we are bringing on some of that incremental and looking at a number of different projects to expand our use of renewable natural gas.

We are looking at hydrogen and starting to do some studies there on how we can potentially utilize hydrogen in the gas network as well as other things like geothermal and being able to utilize that as another solution. And so we do think that are multiple pathways and ways to get there.

And we've tried to talk about some of those environmental impacts or environmental considerations as we look at the different options.

(John): Thank you (Cameron). And (Kenzie) if I could, I think it would be important if you could just share some of the power-to-gas initiatives that are being looked at them. What the value of that is with respect to reducing our carbon footprint as well.

(Kenzie): Yeah, happy too. And thank you for the question. So outside of addressing the bike the constraints which is being addressed in the report over the time frame that the report is addressing. We have working on various projects to find way to integrate renewables into the electronic assets that we own. And also into the gas assets that we own.

And one of the technologies that we're evaluating is power-to-gas. It's a technology that's being demonstrated in Europe. It's being demonstrated right now in Colorado and being evaluated by other energy companies. It's a technology that begins to integrate the decarbonization of the electric side of our economy with the decarbonization of gas assets.

And what it does is it takes electricity -- we're looking at taking excess renewable electricity that would otherwise be curtailed and runs it through a technology called an electrolyzer.

And what it does is it splits water into hydrogen and oxygen. So essentially, it's a way of converting renewable electricity that would otherwise have to be curtailed into a beneficial form of energy that can go towards decarbonizing that are harder to carbonize like heating like industrial processes.

We made a proposal to demonstrate this technology, the use of this technology, in our recent KEDNY/KEDLI Downstate New York rate case that we filed in 2019. And it's something that we're working with other partners to evaluate in other jurisdictions as well. One of the many, many ways we're trying to find ways to integrate renewables into our gas infrastructure as well. Thank you for the question.

(John): Thank you (Kenzie). Operator, next question please.

Coordinator: Thank you. Up next is (Robert Wood), your line is open and please state your affiliation and zip code.

(Robert Wood): Yeah, hi. (Robert Wood), 350 Brooklyn in DSA, 11238. On March 23, you released a technical appendix to your long-term capacity report and on page two of the appendix you included a chart showing baseline demands by customer type that includes completely incorrect data.

In the row, there's a basically there's a row showing designed gas demand per customer. And the calculations are off by an entire decimal point. So things like this really make you wonder how many other errors like this are scattered throughout the report. We already know that your demand projections are inflated by as much as 11 percent over the much more reasonable projection of the EIA.

So how do you explain this to the listeners on this call? This error in calculations.

(John): So (Brian) I believe I'm sorry (Robert) I believe your question in voided the some of the data in the reports so (Cameron) can address that with respect to some of the data that's in the appendix.

(Cameron): Sure, yeah. I mean I can't speak to the specific place you believe that there may be an error in the technical appendix. Certainly it is something we can go back and take a look at. We've gone through in building the demand forecast. You know we've gone through extensive analysis and so you know we have a historic forecasting that we do. We back test for accuracy. We incorporate a number of variables. You know both looking at you know economic variables as well as gas usage and trends to come up with the forecast that we create.

We have also taken in this report and built in not only the trends that we are seeing but also the projections of for instance the new efficiency New York initiatives. And what we see as the ability for those things to generate some demand reductions with regards to energy efficiency. With regards to the downstate New York electric utilities and some of their electrification targets.

As well as some incremental programs that we're looking at around demand management. And so we've done that extensive analysis to get to a forecast that shows that the demands growth which has been 2.4 percent for the last 10 years in downstate New York. That it will slow and that it will slow down to a rate of between .8 percent and 1.1 percent per year. So that's been the methodology and the results of our demand forecast.

(John): So (Robert) we'll go back and take a look at the appendix and if it requires any type of revision that based on your assertion, we'll certainly take a look at

that and address it in a final report. Before we go on, I would ask if (Pete) has anything that he wanted to add with respect to (Robert)'s concern about the forecast and the accuracy of that forecast.

(Pete): Sure (John). So the forecast itself when we are working towards trying to determine what the ongoing growth needs are we take into account things such as the specific group that is taking place in a downstate New York region which really can't be compared to a national type of report because the New York downstate area in particular Brooklyn, downtown Brooklyn area and some of the other points in the New York downstate region are growing at faster pace than the rest of the country.

So to make a comparison to national data with local data really doesn't take into account the vibrant growth that we are seeing as a result of all the economic activity in New York state. All the tri-high rises that are going on. Things such as the Belmont hub which is taking place out on the Nassau Queen border.

Other projects such as that that are taking place out East like the Ronkonkoma hub and since this was originally supposed to be a Riverhead meeting that would be one in particular that folks in Riverhead would be more familiar with.

We are -- we have these various large growth areas that are taking place. Another one is around the Barclays Arena. So all of these things are things that need to be taken into account when you start looking at the growth that we are anticipating on the system and then we are looking to aggressively use our award winning energy efficiency programs in order to try to minimize the usage that these developer are seeing for those projects. But the root of all of this is basically there's more square footage, there is more need and they will

look to consume more gas than the system provides today. Thank you for your question.

(John): Thank you (Pete). Operator.

Coordinator: Up next is (Karen White), your line is open. Please state your affiliation and zip code.

(Karen White): Hi, yes this (Karen White), I'm with Bloom Energy and I'm out of 10024. I had some particular question about the report itself, I've just got two. The first regards on page 25 of the report it's says that, "We believe there's an opportunity to keep more of our temperature-controlled customers, which require them to switch away from gas during cold winter events at or below 16 degrees Fahrenheit." My question is just that I want to clarify, if customers are switching away from gas at those times, what fuel are they switching to?

And then my second question regards table 10 on page 36, related to C&I demand response, it says that, "National Grid will select customers with access to other heating fuels which would switch off of gas in peak events." Again along the same lines as my first question when it comes to C&I demand response what fuel do you expect most demand response customer will switch too? Thank you.

(John): Sure and thank you for your questions (Karen). I think both of them are very similar. With respect to the genesis of the question which is really seeking what's that alternative fuel so. With respect to the temperature-controlled customers, I'm going to ask (Pete) to just kind of go through with you and give you that answer.

When it comes to the demand response programs, I'd ask (Owen) if he would. So (Pete) can you address the temperature-controlled customers and what their required to provide us to be a temperature customer and really just what it is. What is a control customer and what's the value of it?

(Pete): Sure, (John). The temperature-controlled customers are actually our largest group of demand response customers. We've been in the demand response business since before demand response was actually really a term.

Temperature controlled customers come in two sizes essentially. One group will switch using a manual control where it's a large commercial entity that has the control room of some type and they will do manual fuel switching from natural gas to something else. And then we have a second group which comes in at about five degrees colder which today right now the switching temperatures is 20 degrees and 16 degrees.

And then those customers will be switched to using automatic equipment to their alternate fuel. In a vast majority of cases those customers are switching from natural gas to number two oil and in some instances where they still have number four oil available, they will switch to number four.

New York City has eliminated number six oil from the options there. On Long Island I think it technically would be an option because I don't think has been ruled out by the state but generally speaking it's number two oil, is the number one option that customers switch to. I would say number four oil is the second.

And there are very, very small number of customers that elect to go dark and not use any energy at all. They will just shut down their process to that day so it's not to use any fuel at all. But that is a very small number of customers and

basically they have to weigh shutting down their process versus whatever other business interest they may have at that time. Thank you for your question. (Owen) do you want to discuss the other demand response programs we have.

(John): Yeah, hey but before (Owen) goes into that so the bottom line there is to answer (Karen)'s question is predominantly oil that these customers switching to so to the extent that the gas system is at a peak and can't supply and to preserve the integrity of the system, we're asking those customers to go off to protect the integrity of the system so the lack of additional supply wants them going onto an alternative supply which is oil, is that correct?

(Pete): Yes that is correct.

(John): Okay, (Owen) can you talk to it with respect to the demand response programs?

(Owen): Certainly so with respect to commercial demand response program that is described in the report to the extent that customers would be switching to alternate fuel we would expect just as (Pete) described that the majority of the customers would be switching to a liquid fuel most likely fuel oil as their backup. And part of the reason for that is that the equipment like the actual boilers and furnaces that are on sight can typically be set up to run on both gas and fuel oil by using a different burner unit on the equipment.

And so therefore the customers don't have to maintain an entirely separate system. We are exploring with customer through our demand response programs whether they would be able to leverage an entirely separate systems such as leveraging electrification.

Or potentially participating in our geothermal proposals to see if can reduce peak day load in a different fashion that wouldn't rely on fuel oil. But right now that's the available sort of asset base that's out so that what's we are looking at with those customers.

I will say that (Pete) is correct we've been in the demand response business for a long and even for the more sort of traditional way of thinking of demand response, we've been a leader in that space. We first purposed demand response pilot a few years ago that didn't involve a backup fuel.

It was actually look at customer could preheat their facilities and then sort of heat them up again afterwards and get by on with less fuel during the demand response event window. That's kind of what (Pete) was talking about when he was saying some facilities would choose to go dark or to reduce their fuel needs.

So we're constantly looking at how we can innovate in this space. And we actually were given an award by the National Association of Regulatory Utility Commissioners back in 2018 in response to the DR pilot that was presented so. We're not simply relying on fuel oil we're constantly trying to think of how we can engage all of our customers and how we can design a sweep of demand response programs that will provide the best outcomes for the system. Thank you for your question.

(John): Thank you, (Owen). Operator.

Coordinator: Up next, is (Jerry Lieblich). Your line is open. And please provide your affiliation and zip code.

(Jerry Lieblich): Hi, so my name Jerry Lieblich. I'm the artistic director of Third Ear Theater Company. I'm from Brooklyn, 11226. And I was going to ask about the CLCPA and how you plan to abide by it because it is the law and then I was going -- but that was asked and I was going to ask about your response to the several reports including from let me just get the name here, including from Energy Futures Group that say that the numbers that you're projecting for demand are inflated and incorrect and the errors in the report that you've given us. But that has been asked and answered as well.

And so the question that I have for you as somebody who feels frustrated with this process quite frankly, is because you are a shareholder holding company, I wonder what your projections are for the profits of each of these options?

(John): All right (Jerry), so my takeaway is that three questions you had two were answered so I'm going to focus on the third one for a moment. I will ask that the future callers that we keep these questions pertaining to the options and that if you any comment that you want to make or enter anything in the record as of an opinion, we wait till the all comment period.

But your question around the return on some of these projects or any of the projects, again I think it's important to note that you know our return on any project or rate case filing is determined by our regulator. So again the New York State public service commission dictates to us what those rates will be and approves those rates to go into play.

Again if you have a comment or a concern about that I would offer you to call back during a public comment period and enter your entire opinion into the records. So thank you for your questions, operator next question.

Coordinator: Up next is (Ed P.), your line is open, please state your affiliation and zip code.

(Ed P.): Zip code 11697, ratepayer. My question is - has to do with the purpose pipeline. This pipeline will be using frack gas from the Marcellus shale which just so happens to be the most radioactive of gas sources in the country. Couple that with the close proximity again the Marcellus shale is closer than any of the other traditional sources for frack gas we've had.

And the pipelines ability to get this frack gas into my house well within the half-life of radon I would like to know what your company is doing to ensure that you aren't giving me lung cancer due to the radon that is entering my house? Thank you.

(John): All right, (Ed), first off, I do want to get you through this process. I understand from your concern that it's frustrating process but it's one that trying really hard to incorporate the opinions and the concerns of all stakeholders so I appreciate your patience and you know your interest in getting on a call and asking your question or voicing your opinion but it is important.

It's important for not only us but for our customers, our stakeholders, our elected officials, our public service commission and New York State that is on encompassing process.

So I do appreciate you participating in it. Again with respect to your question, you know this time that we are trying to allocate to questions around the options you know just so everybody has an opportunity to get questions in about the specific options so, I know you say it's about the Nessie project. I don't really hear a question specific to Nessie.

Your question really focuses on radon and we're not really going to debate while we're on a call here, you know different claims about radon. Which by the way it's naturally occurring gas and all locks and soil and even found in water, so I'm not going to -- we're not going to debate the merit of radon during this call but I would offer again the opportunity as we close out the Q & A session.

I think your perspective is important to share and I think it's important to go on the record. So I would implore you to call back get your public comment period sighted as well. So, operator I don't know if we have any more questions in the queue.

Coordinator: We do have one question left and that comes from (Patty Cronheim). Your line is open, please state your affiliation and your zip code.

(Patty Cronheim): Hi my name is (Patty Cronheim) and my affiliation is Eastern Environmental Law Center. And the Eastern Environmental Law and my zip code is 08534. The Eastern Environmental Law Center with the assistance Synapse Energy Economics has submitted questions to National Grid asking for the specifics of how various assumptions to estimate future demand will developed by you all.

And how they all fit together to produce the demand forecast. You did give a response. It was very cursory and didn't show any new data that we can see that actually answer our questions and we're really wondering when we can be expecting a response that's actually more in depth and more in line with what we asked.

We're very concerned that National Grid has not answered these and there is not required transparency in this process to ensure unbiased conclusion. And

we'd like to know when we can expect a more detailed and more transparent answer to our questions?

(John): Thank you (Patty). Thanks for your question. (Cameron) I'm going to ask if you could respond to, I'm not familiar with what responses we've had in the final report and before you do that I can ask (Pete) to just give a prospective -- I know you shared with us the process for which the demand curve is created. Can you just speak briefly with respect to the accuracy that demand curve has had and then we can get into (Cameron) as far as how you would address directly (Patty)'s concern.

(Pete): Sure, so normally when we do our forecast, it's part of the overall forecasting process we go back and we assess the accuracy of our forecast year over year. And when we do that assessment, we have found that we normally are within plus or minus two percent of the demand that we forecast for a specific year.

As an overall goal but within our own analysis it's actually closer to plus or minus one percent. So our actual forecasting that we do is not just done on a forward looking basis but it's actually done on a forward looking basis and then we go back and we evaluate how good our forecasting assumptions were so that this way when we do our next round of forecasting we've actually taken into account any lessons learned from the previous forecasting.

Any changes that we may have missed in what's going on it the economy and other type of market drivers. And then we'll try to capture all of that back in so that when our next forecast is issued that that forecast is as accurate as we can and takes in to account as many of the factors that are relevant to it that as we are aware of. Thank you for your question.

(John): Thank you (Pete). And (Cameron). Go ahead (Cameron).

(Cameron): Yeah thanks. Thanks for the question, so we have a process here where we are as everybody knows we publish this long-term capacity report. You know it's towards the end of February and now are going through these public meetings. First one in person, then these virtual meetings. We also have the process where we are getting comments on the report itself and have significant number of comments that have been submitted some with specific questions.

So what we are doing is we are accepting those comments through April 17 and we then intend to publish sort of a final report that takes into account this process where we've gotten significant feedback from people and significant questions and comments. And comer back with any updates that we want to make to the report as well as some response to those comments.

Now we're not going to be able address literally every question directly but to put them into some categories where we can aggregate some of those comments and come up with some response to those comments. So you know it's our intention to take all those comments that we get by April 17th and you know targeting sort of by around the end of April that we would be able to get something back out.

(John): Thank you (Cameron). And I know that we went a little longer on a Q & A session. I just wanted to make sure we gave people the opportunity to ask their questions. I hope that everyone had an opportunity and you received the answer to satisfy that concern. We've concluded the Q & A section of the call and now we'll begin the public or comment period, allowing you present a public statement of the options presented in the report. We'll have a listening panel that will be on the call with me.

It will be (Cameron), who is our Executive who prepared the report and also (Melanie Littlejohn), (Melanie) is an Executive in our New York State customer and community management organization. And so (Melanie) will be facilitating the public comment period. So (Melanie) are you on?

(Melanie Littlejohn): Yes, I am.

(John): Over to you.

(Melanie Littlejohn): Good evening, all. Please note that we are officially closing our Q & A portion of our program and now opening up our public comment period session which is limited to statement and we will not be taking questions. To get in the queue please remember dial "star" "1" once the operator opens your line and you come on the line, please state your name, zip code and affiliation for the record. And then you can make your statement.

We will be limiting all comment to two minutes. Each comment will be recorded, transcribed and unabridged to the New York State PSC. And if you believe you need more time to expand on your statement or if you have further questions, we encourage you to visit our website at Ingrid.com/longtermsolutions. There you can upload a written statement or any other questions directly to the public service commission.

As a reminder dial "star" "1" to make your comment. Operator first caller please. Operator?

Coordinator: I apologize I had my mute button on. The first one comes from (Amanda Whosain), I do believe that's what it said on the recording, your line is open. If you could please state your afflation and your zip code.

(Amani Hosein): Yes high my name (Amani Hosein), I'm with the Long Island Builders Institute and my zip code is 11784. So I am speaking again on behalf again Long Builder Institute or LBI which ever then approximately 600 members throughout Long Island including professional developer, builders and nearest constructions worker and other involve in the real estate industry.

Long Island continues to face the continuing situation where the current need for a sustainable source of energy is essential for our ability to continue to provide economic development activities. We are pleased that National Grid has been providing a new outline for various options which we can ensure that our natural gas can be sustained in the years ahead. And according to their report in the past 10 years there has been a 2.4 percent increase in demand per year.

For natural gas and the demand is continuing to grow as more housing and building states is being built. The need for additional measure ensure a natural gas supplies essential even while Long Island and New York state move towards additional renewable measure in the years ahead. A solution to obtain more natural gas in the area is a necessity to meet the purposed demand during peak times in the winter.

A variety of solutions must be found which not only meet the demand but also be reliable cost effective and be possible in a timely manner. While we strongly support and understand the need the need for natural gas all the solutions should have minimal impact on the environment.

With this in mind we continue to support both construction of a new pipeline from New Jersey as well as many of the non-infrastructure options as they have least detrimental impact on the environment.

LIBI firmly believes that a combination of the development of the pipeline which is the least intrusive construction project of all the options along with the energy efficiency and other non-construction options is the best answer to provide a sustainable source of continuing energy supply for Long Island.

The decision made by the public service commission under these circumstances must ensure that Long Island will have a sustainable cost-effective energy source for the next 20 years. The Long Island Builders Institute firmly believe that after a revel of all the possible alternatives that accommodation of a new pipeline along with associated non construction activities are the best answers to Long Islands energy needs. Thanks you.

(Melanie Littlejohn): Thank you Amanda.

Coordinator: And up next is (Michael Lawler), your line is open. Please announce your affiliation and zip code.

(Michael Lawler): (Michael Lawler), New Yorkers for Affordable energy, 10965. Good evening and thank you and for the opportunity to speak tonight. My group New Yorker for Affordable Energy is dedicated to supporting increased access to cleaner, reliable and affordable sources of energy for residential and business consumers. We're a coalition of organized labor, business and community leaders.

Our key message to you today is that we support your balanced approached to expand access to natural gas in New York City and Long Island by ensuring that you have the supply to meet consumer demand. The long steps that you have outlined strike an important balance in the fight to reduce carbon emissions while providing clean affordable and reliable energy. Especially in

critical times like these where our hospitals are relying on natural gas to help power their emergency operations.

We must rely on science and fact to guide our decisions not just ambitious thinking by politicians and activists. Any realistic plan put forth by New York City to reduce emissions must include new infrastructure for delivering natural gas. Your plan does that.

A recent study by the Environment Defense Fund supported the conclusion that there is natural gas supply problem in New York city and the suburbs. Their data demonstrates that the supply constraints and they are pipeline supply constraints are causing adverse environmental impact.

It's also clear with the issuance of a recent executive order banning all new natural gas infrastructure that Mayor DeBlasio has given zero thought to how much this policy will really cost New Yorker or how it could make our housing crisis even worse. In short for reason I will explain more fully we think the Mayor's proposal is bad economic policy, bad housing policy and an environmental policy that's based on hopes not reality.

No one knows how much it will cost to heat buildings with electricity in 2040 or how well that would even work especially in winter. If the city requires electric heat that's way more expensive to install and operate then proven natural gas systems which will drive up rents and energy cost making the Affordable Housing Crisis even worse in New York.

Furthermore the Mayor went ahead and announced this extreme policy while three major feasibility studies were yet to be completed. One study about the engineering and fiscal challenges of electrification.

Another is about the electric grid needs to be upgraded and the third National Grid study is about the city's need for new natural gas infrastructure. Racing ahead and jamming through this policy before any of the studies are even done is classic ready, fire, aim. And some may even say irresponsible. Finally we suggest that the city consider the situation at Night Show. Over the last decade the Housing Authority has spent millions to convert old sailing, dirty oil heat systems to clean burning and much less expensive natural gas.

The mayor's executive order may forge the authority to delay upgrading these systems which are essential.

Coordinator: And up next is (Matt Gove), your line is open, please state your affiliation and zip code.

(Matt Gove): I'm (Matt Gove). I'm with Surf Router Foundation and I live in 11217 of Brooklyn. Thank you, New Yorker for Affordable Energy, for that really scary comment. We're all scared now.

I just wanted to make a few comments. I thought National Grid should have given an apology and I'm being serious. I was a meeting last year for repairs and people trying to open new business, people trying to complete changes to their homes were told sorry there's no natural gas for you. That's just the way it is. There's not enough. And then low and behold there was enough gas and National Grid was charge a $36 million dollar penalty for basically lying to the public.

So I would of appreciate this outreach. I would have like an apology. People were really hurt by those I don't know what you want you want to call them lies or mis truths or what they were but they also because of that it's really hard to believe now National Grid says. They have lost a lot of creditability

because they made this big stink last year and it turned out to not be true so it's -- it is hard to believe what you guys are saying.

We really want to work with you to create the future we all want which is to get off of fossil fuel energy which I know is tough for you a fossil fuel company. But you know we believe the non-infrastructure options are the best way to go. Those are going to create a bunch of jobs. There's not a big environmental impact with those. And we got to put the money anyway right?

We got to get off of fossil fuels to go with the law on regulations under CLCPA so why don't we start that now. We don't need build new fossil fuel infrastructure that may never get used. And so why waste money as a repair. I want to put money towards something we can all use.

And just lastly, I would just like to say we have the technology to get that future of clean energy. We don't need to mess around with fancy electrification of into gas or whatever that is or hydrogen which is been the fuel of the future for 50 years or renewable natural gas which not a real options.

So we already have the technology we just need National Grid to get on board and get us to the future. Thank you.

(Melanie Littlejohn): Thank you (Matt). And just as a reminder if you would like to have a more extensive statement or you have other items that you would like to share. We encourage you that you have the full opportunity to do so if you go to our website you can go in load a more complete statement Ingrid.com/longtermsolution. Thank you, operator next caller please.

Coordinator: (Raya Salter), your line is open. Please state your affiliation and zip code.

(Raya Salter): Again this (Raya Salter), Policy Organizer with New York Renews. Member of the New York State Climate Action Council speaking to from 1804 Westchester County and my personal capacity. I just wanted to come on again.

First I do want to say that I want to thank everybody, obviously we are going through a terrible crisis right now that I think should be acknowledged. And I'm thank you for continuing to have this meeting online and for everybody's presentation and participation in this event. So I did just want to say that.

But I also wanted to speak again to the Climate Leadership and Community Protection act which was passed last year which is now the law of the land. And requires that projects like this demonstrate how they will contribute to New York State's carbon emission reduction goals.

In addition to that there are requirements that contract and permits do not disproportionately disadvantage disproportionately burden disadvantage communities. And also do not have negative environmental impacts. So I am very concerned that this report specifically says that it does not go into an assessment of broader CLCPA emission reduction goals which I believe means that this report is out of compliance with the law.

I encourage the company to go back and make these calculations and urge the company to please come into compliance with the CLCPA. Thank you very much.

(Melanie Littlejohn): Thank you (Rya).

Coordinator: Thank you and up next is (Kenneth Tenalicki), your line is open, please state your affiliation and zip code.

(Kenneth Tenalicki): (Kenneth Tenalicki), 798 75167 out of Texas. My opinion or options whatever you want to call is if you guys are against all this natural gas, then we'll just have to cut you off and then you won't get no natural gas. It's real simple. I mean it's a necessary item. It needs to be in place. The old lines are going out of date. They need to be replaced. I don't see what you all's problem is up there in New York.

(Melanie Littlejohn): Thank you (Kenneth).

Coordinator: Thank you and up next is (Dennis Carris). Your line is open please state your affiliation and zip code.

(Dennis Carris): Yes (Dennis Carris) is with a nonprofit group called Solarize Albany. Zip code 12180. And actually great answer to the question that was just asked is that it's so easy to save our planet because when you put solar panels on a roof you get every penny back in a few years. There really is something peak oil right now. I want to thank god he gave us the oil when we needed it. We weren't that smart. But now we are so smart with solar panels, wind turbines, renewable energy.

If it peaks out sooner rather than later, we can save our planet from climate change and global warning and when you put solar panels on a roof you get every penny back in a few years. You know maybe six or seven years if there's trees up there maybe eight years. But were in a country that prints money not just millions or billions. Our country prints trillions of dollars unfortunately not a penny for this. I think mostly is to send our troops

overseas to get oil and bring it over here. Sell it make our billionaires want to be trillionaires.

But anyways it's so easy to save our planet by putting those solar panels on our roof because you get every penny back and our country prints money so that's the only reason we should be printing that money and we really could save our planet from climate change and global warming.

And I think we're going to stop calling them over in the middle east. We're going to stop calling them terrorists. I put end quotes I think a lot of that quote terrorism end quote is provoked because we want to get that oil over there and bring it over here. So when the oil peeks out we're going to stop a lot of what's going on over there and I really think we can save our planet but it's only 99 percent of us that would agree with that. Not the 1 percent who wants to get that oil and bring it over here and sell it. Thank you.

(Melanie Littlejohn): Thank you (Dennis).

Coordinator: Thank you and up next is (Alexandra). Your line is open. Please state your affiliation and zip code.

(Alexandra): Hi my name is Alexandra. I am from Greenpoint, my zip code is 11222. So I'm giving comments before the NESE project. I really want to use this time to emphasize the emission some of these options are going to create. I support renewable energy. I believe in the urgency we're facing. Our environment, our futures and particularly my generation is facing. Realistically we need to get moving on this plan as quickly as possible.

First of all we can't truck in gas, we're in the middle of a pandemic. We all hear the constant ambulances. It's just a fact that our communities can't

support the increases in emissions into our air or the traffic flowing our streets that will be caused by vehicle delivery both in terms of respiratory and environmental health. The air code (unintelligible) and as we heard earlier leaves people on their own to likely buy (unintelligible) oil. This is an incredibly unjust burden.

Working New Yorkers should not have to find their own energy and we can't short critical elements of meeting our environmental goals onto individuals. My family, my neighbors, our communities don't have the luxury of putting in this extra uncompensated work especially combined with other rejecting the pay infrastructure project feeding their family.

The demand response concept actually requires homeowners to have alternative fuel sources available which again will almost definitely be oil. Which is exact same problem and out of all our natural gas options liquidity natural gas may be adding the most greenhouse gas emissions. This is a nonstarter. We're in a climate crisis, an economic crisis, a public health emergency and now is the time to address an approaching energy crisis.

Honestly NESE seems like both cleanest and most realistic route towards unjust environmental transition. I'm supporting NESE project and I hope you approve it.

(Melanie Littlejohn): Thanks (Alexandra).

Coordinator: Thank you and up next is (Joe Guarinello). Your line is open, please state your affiliation and zip code.

(Joe Guarinello): Hi my name is (Joe Guarinello). From HeartShare. Oh, what do I have to hit?

Coordinator: Your line is open sir.

(Joe Guarinello): (Joe Guarinello) from HeartShare Human Services. We are a 115-year-old social service agency and one of our aspects is to provide energy assistance to families are economically stressed. And we provide these services in 60 of 62 counties in New York State.

And I would just like to put on the record that we need to make sure that there's more gas into our infrastructure. As that while solar and wind are probably least amount of carbon footprint for the folk that we serve the money is not there for them to actually buy into these new processes.

And when we look at it, the real affordable way and as I understand if Nessie goes through that the actual cost of gas may go down which makes it more acceptable to the folk and families that are economically stressed. So on that behalf I'm sure that National Grid will have enough eyes on it to make sure that they are environmental protecting any of the work that their doing on this pipeline.

And so that the on-behalf HeartShare and the people we serve, we're in support of the NESE project, thank you.

(Melanie Littlejohn): Thanks (Joe).

Coordinator: Thank you, up next is (Paul) your line is open. Please state your affiliation and zip code. Hello (Paul) your line is open is your mute button on? I am getting no response.

(Melanie Littlejohn): Okay why don't we go to the next speaker and then if (Paul) joins we'll welcome him back.

(Operator): Thank you, up next is (Patty Cronheim), your line is open. Please state your affiliation and your zip code.

(Patty Cronheim): (Patty Cronheim). It Eastern Environment Law Center, my zip code is 08534. And I'm going to be very brief. We are opposing and representing clients who are opposing the NESE project. And we have asked National Grid for specific data used as the basis of their calculations. For historic as well as future analysis.

And they have not submitted that data to us. We have asked them to show their work basically and they have not done that. And this make National Grid's forecast inclusions highly suspect and give to grave concern that they're demand projections are not accurate.

So in terms of process I'd also like to say that given the stress that's on everyone right now due to Coronavirus we strongly feel and we've written that these meetings should have been postponed and the deadlines for the project should have been delayed.

Personally I have family members now with COVID-19 and being here on a call and taking care of business is the last thing on my agenda and I'm sure I'm not you know, I'm sure it was not a priority to a lot of people wanted to be dealing with at this time.

We also concerned that there isn't more involvement from the New York agencies in this part of the process and that all comments are being in trusted to the National Grid on their website and that they're running. We will be submitting rest assured all of our comments to the relevant New York and New Jersey agencies as well as to National Grid.

And I just want to add that as far as energy modeling and cost. I have not been hearing a lot of cost going on and I'm speaking for myself as a consultant now that works in energy issues, that the only way to actually have the clean energy for the future that is affordable is total electrification. That's transportation, building and electrical generation. This all of the above energy including natural gas as if somehow that's going to be cheaper is a fallacy and all the modeling does that.

And I invite people to look at Rocky Mountain Institute's work. Look at the state of New Jersey work. And you'll see the least cost pathways mean total electrification. We cannot do all of the above. We have to transition away from National Gas. And for our health and safety you have to do it as quickly as possible. Thank you.

(Melanie Littlejohn): Thank you (Patty).

Coordinator: Thank you and I have no callers at this time. If you would like to have your line open please press "star" "1" and record your name in ordered to be introduced once again it is "star" "1" thank you. I do have a couple callers one moment please. All right up first is (Lee Ziesche) I do believe, your line is open please state your affiliation and zip code.

(Lee Ziesche): (Unintelligible). 11216. (Unintelligible).

(Melanie Littlejohn): (Lee) excuse me (Lee) are having a difficult time hearing you is there you can move closer to the phone.

(Lee Ziesche): Can you hear me now?

(Melanie Littlejohn): You're going in and -- you're going in and out on us.

(Lee Ziesche): (Unintelligible). Outside of my house, okay.

(Melanie Littlejohn): Okay good we'll wait and hear from you shortly. Okay. Operator next caller.

Coordinator: Up next is (Ed P.) your line is open, please state your affiliation and zip code.

(Ed P.): (Unintelligible) payer. Zip code 11697. I'd like to voice my opposition to the purposed pipeline. And I'll tell you why. As a resident of Rockaway, I am not thrilled about the plan of ripping up 24 miles of the ocean floor releasing all kinds of carcinogens, PCB, copper, mercury, etcetera. And the damage it will do to our shoreline and people like myself who swim in the ocean for cardiovascular benefits throughout the summer.

Not only is it going to contaminate us, it is going to have a detrimental effect on the wildlife, the fisherman, all the businesses, whale watching, etcetera. The (unintelligible) organisms and if not, only do I oppose the pipeline. I oppose fracking. Because anybody who fracking must not understand the process. It starts with using tremendous amounts of our precious resource water. Contaminating that water with chemicals that are proprietary blasting down into the earth vertically then horizontally.

Finally removing a product that is highly radioactive. You're doing damage to the workers who were doing that and the people who houses it goes into via radon gas. Not only that, tracking contributes to global warming. Scientists tell us that and again as a Locklear resident and a First Responder who was working ((unintelligible)) that day, I witnessed firsthand the damage created and I feel companies like yours should be held accountable for that.

Female Speaker: Thank you (Ed).

Coordinator: Thank you and up next we have (Kenneth Penelecki), your line is open. Please state your affiliation and zip code.

(Kenneth Penelecki): Local 798, 75167, out of Texas. Now I hear all these people opposing the natural gas pipeline but it's necessary. All these old lines are falling apart. They need to be in place. It's cheaper than electric. We're not doing any damage to the environment. I've been doing this work for over 20 years. Now, you guys are crying environmental issues, there's no environmental issues there whatsoever.

We leave the right-aways all clean. There is no damage. Everything grows back so I don't really understand what the opposal is to all this. You guys want cheaper bills, but then you don't want to put the stuff in place that will give you a cheaper bill. Natural gas is cheaper than electric by a mile. So, I don't understand what you all's problem is.

Not to mention, look how many people that all these delays is putting out of work. This is ridiculous. You're costing me my money now because I'm not working because you guys keep opposing everything. It needs to stop. I mean, everybody needs to get their fair share of work. Everybody needs to get their fair share of equal natural gas to their house, to their jobs, whatever. I mean, this is just ridiculous. It needs to be put in. It needs to be put in place. We don't leave damage. We clean everything up. What else can I say? I guess that's it. Thank you.

Female Speaker: Thank you, (Kenneth).

Coordinator: Thank you and up next is (Annie Garneva), your line is open. Please state your affiliation and zip code.

(Annie Garneva): Hi, my name is (Annie Garneva). I'm with the Sane Energy Project, DSA and Stop the Williams Pipeline Coalition; I would just like to point out first of all that this is a practice that all callers should be making. It is a practice that is necessary since we can't see each other. We can't physically see who we are and talk to each other because of this absurd process.

So, that's just transparency. I would love all the people that have been driven here through fake astro turfs, clean energy, fake environmental systems and organizations to actually name who they are and actually stand by their supposedly beliefs instead of using these kind of robotic equations to give their non-scientific, very feeling based analysis about the long term solutions.

Second of all, I am very much opposed to all of the quote, unquote, long-term solutions that are proposed. None of them are actually long-term. All of them are within a very short term, five to seven-year scenario. That's not long-term. Long-term is decades. That's the kind of conversation we should be having as a public and as a political process is having a broader system-wide conversation about our energy system.

Energy means heating, cooling, cooking, and infrastructure functioning. It does not mean ((unintelligible)) gas. It means energy. So that's a conversation for this entire thing that's predicated on so many varieties of lives that now we are seeing in real-time build upon one another. The way that you guys have manipulated the arguments put forward in your report, those words that you used about what is long-term, what is short-term, none of that makes sense.

Another point I'd like to make is that these are not going to, you know, the

economics argument. These are not going to local jobs. These are going to jobs that are brought up from areas like Texas, like those guys that's calling in. I've seen it before at CV upstate.

We see the license plates of all these different workers that are being brought in from other states to build these pipelines, so that's not even an argument because they wouldn't be local jobs and they would be very temporary jobs. And on top of it all, we are in a crisis right now, I will…

Coordinator: Thank you, and up next is (J.K. Canepa), your line is open. Please state your affiliation and zip code.

(J. K. Canepa): Hello, excuse me, (J. K. Canepa) from Sane Energy Projects. [Clears throat] Sorry, zip code 10009. I'm calling about the failure of utility companies such as National Grid to follow the lead of other utilities across the country in investing further and more enthusiastically primarily in solar and also in wind energy and how states such as Minnesota, Colorado, California, have supported the communities in their resistance to their utilities forcing natural gas and oil on them.

So I'm asking that National Grid get with the program and follow the lead of the utilities across the country that are starting to wake up and see that their investments are failing, that the cost of gas is plummeting so deeply that investors are crying ((unintelligible)).

Female Speaker: Thank you, (J.K.)

Coordinator: Thank you, and up next is (David Matthews), your line is open. Please state your affiliation and your zip code.

(David Matthews): Yeah, (David Matthews), Local 798 Pipeliner's Union. My zip code is 72166. I'd just like to tell the people of New York that people, pipeliners from across America come there to help you people, not to hurt you. We care about New Yorkers and we want to see you all have affordable energy just like the rest of the country does.

We would all love to live in a place where we could have wind, solar and different various types of other energy renewals but right now natural gas and oil is our best option and until we can develop these other types of energies, this would be a plus for you guys and I'd just like for you all to take that into consideration. Thank you.

Female Speaker: Thank you, (David).

Coordinator: Thank you, and up next is (Annie Garniva), your line is open. Please state your affiliation and zip code.

(Annie Garneva): (Annie Garneva), Sane Energy Project, Stop the Williams Pipeline Coalition and DSA, my zip code is 11226. To continue what I was talking about before, because I got cut off, because we're not in a public place, and you knew that would happen but you continue to do it because you have another hour to go anyway.

We have the money to make a renewable transition currently. This moment that we're in right now, this COVID crisis, is showing that all of the arguments that we have made, or not we, that you all have made about economics have been thrown out the window.

How come we don't have money for healthcare systems that we now currently have? How come we didn't have money before for a bailout now that we

magically have? How come previously we do not have money to support ventilators and our garbage unemployment insurance and now magically we have? It's because money is a made-up concept that you all process from and we all suffer from so we have the money to make this transition.

It's just so-not only do we have this money in theoretical in terms of ((unintelligible)) it, you all, your shareholders and the people that are currently on this line along with all of your executives have all that money hoarded up, to quote.

Your CEO, (John Pettigrew), last year made 4.56 million ((unintelligible)) pounds on top of the $944,000 salary that he makes every year. In total, he has been found to have approximately-oh, the year before that he made $3.65 million so over the decades that adds up to hundreds, to thousands of millions of dollars and he got that bonus because he quote, unquote, delivered value to shareholders, which is in the hundreds of millions.

So, if you supposedly believe that we're in a crisis, if we supposedly do not have enough gas, and you supposedly in order for your private enterprise to continue existing then to me the logical concept would be to put your own money into the systems instead of continually asking us which is an absurd monopoly that…

Female Speaker: Thank you, thank you, thank you.

Coordinator: Thank you, and up next is (Kenneth Penelecki), your line is open and please state your affiliation and zip code.

(Kenneth Penelecki): Local 798, 75167, I know I keep bugging everybody but here's a real simple way of looking at it. If you don't want the natural gas line in, don't use

it. Turn your heaters off. Turn your stoves off. Quit cooking. Real simple, then tell me how much you like not having natural gas. I mean, this work provides for me and my family and you guys are cutting it off. I mean, this is just ridiculous the way everybody argues over stuff. I'm not shutting down your work. Why are you shutting down my work? Ridiculous. Thank you again.

Female Speaker: Thank you, (Kenneth). And just a reminder, we encourage you to utilize our website to continue to highlight and elevate your statement. Again, that website is ngrid.com/longterm solutions and there you can not only upload a more detailed statement but you can review the report, the summaries, the videos, and all of the information on each site, and there you can also do surveys as well as provide written comments directly to the New York State Public Service Commission. Operator, next caller, please.

Coordinator: Thank you. We do have a next caller, and that is (Mimi Bluestone), your line is open. Please state your affiliation and your zip code.

(Mimi Bluestone): Yes, hi, my name is (Mimi Bluestone). I am with 350 Brooklyn and my zip code is 11238 and I want to say first of all there is no shortage of demand. It's phony shortage. That was made clear when the state slapped National Grid for putting a moratorium on gas hookups.

It was clear that that was a fake sudden shortage of gas. The gas is there. The gas will continue to be there. There is no reason to believe that rates will go down or even stay where they are because of this pipeline. There is absolutely no reason to believe that, in fact quite the opposite.

The cost of this pipeline, which is going to be a billion dollars, will be bored by the rate payers. That seems very clear. There's obviously danger to wildlife. There's danger to people who swim. There's danger to the shellfish

industry in our region. There are just so many dangers posed by stirring up all of the heavy metals and other toxic substances that are in the sediment. There is no way to do that safely and finally, there is no planet B.

We are facing a climate crisis which really will make the pandemic look like a walk in the park and if we don't act now and move as quickly as possible away from fossil fuels and towards energy efficiency, not just renewables.

Yes, we need renewables. We also need energy efficiency. We need to rethink how we do everything. It's clear we don't need to travel as much as we travel. It's clear that we can live a whole lot differently. This has been made clear to us through this pandemic. We don't need all this fossil fuel usage. It's not necessary.

It doesn't make for a happy or a healthy life. Look what we're going through. Look at the crisis New York is going through. Our priorities have been all totally messed up and people are dying. I'm hearing sirens go by my apartment constantly, all day long, people are going to hospitals in Brooklyn and they are dying because our priorities are wrong and so we don't need this gas.

We need to protect our health. We need to protect our climate and we don't need this pipeline. New Yorkers have spoken through our legislature. We have passed the Community Leadership and Climate Protection Act which spells out very clearly…

Coordinator: Thank you, and I have no callers at this time. If you would like to have your line open, please press star 1 and record your name. Once again, star 1 to have your line open. Thank you. One moment, I do have one caller and that comes

from (Rodney Gould), your line is open. Please state your affiliation and zip code.

(Rodney Gould): My name is (Rodney Gould). I'm a concerned citizen and my zip code is 13849. I've been watching the battle over natural gas now for 10 years and I would like to say that I support the gas line expansion and what they're trying to do. There's been a lot of misinformation and my feeling is that it seems like people are making decisions more based on political climate and political correctness rather than based on the facts.

I believe that natural gas should play a vital role in moving our economy forward. I believe also that we need to explore and continue to look at using renewables. But natural gas has to be the bridge in order for that to happen, and so I want to say that I do support the pipeline in hopes that it can move forward. Thank you.

Female Speaker: Thank you, (Rodney). Next caller, please.

Coordinator: That is from (Lee Ziesche), your line is open. Please state your affiliation and zip code.

(Lee Ziesche): Hi, my name is (Lee Ziesche). I work with Sane Energy Project. My zip code is 11216. I'm calling because I'm very disappointed that our questions about radon last night and today were not answered. Mr. (Bruckner) said that you weren't going to debate the merits of radon but there was actually an answer to those questions.

Within the rate case, Sane Energy asked National Grid if you were all testing for radon and you said no and we asked if you would, based on this research

that it is in the Marcela Shale, that it's building up an infrastructure and potentially coming into our homes as radon and you said no again.

So you do have a position and I think it's only fair that people know, especially since a lot of people are on these calls saying that gas is cleaner and especially in buildings like NYCHA where there's this false information going around that NYCHA doesn't have gas because of a lack of supply, which we know is not true.

And actually National Grid confirmed that as well that this has nothing to do with supply in NYCHA buildings and so those are people who live in very small quarters and probably don't have good ventilation, you know, also the city is being ravaged by Coronavirus right now, you know, I'm feeling symptoms right now, tightness in my chest and shortness of breath and I'm really worried that bringing in radioactivity which is the leading cause of lung cancer will then be affecting this city so I think National Grid needs to be more honest with your customers about your position on testing for radon, you know, if you're not going to, just tell people that.

And then additionally, you know, I don't use a lot of gas in my apartment, though my bills are very still high because you charge such a high fixed charge. I stopped using gas when I started meeting people in Pennsylvania who can't drink their water or breathe their air so I don't use my gas for heating or cooking anymore. I use electric, yet my bills are still very, very high.

Also, in addition to working at Sane Energy, I also work at a restaurant and I'm really concerned about my coworkers who are, you know, over open flames every day and, you know, I have less in my bank account than (John Rukner)'s going to be making over all of these calls, and I think that's the

people we really need to be listening to, the people who are struggling to pay our bills and they're demanding no more money for fossil fuel infrastructure. Thanks.

Female Speaker: Thank you, (Lee). We have allocated the two minutes for this process and certainly we encourage you to go to our website if you believe you need more time to expand on your statement or if you have further questions or certainly want to review the material more, in more detail. That website again is ngrid.com/longterm solutions. Thank you. Next caller, please.

Coordinator: That is from (J. K. Canepa), your line is open and please provide your affiliation and zip code.

(J. K. Canepa): Hi, I'm (J. K. Canepa), Sane Energy Project, 10009. I want to take part of my time to build on what (Lee Ziesche) just brought up about the radon situation, radon historically is not in New York City soil or under the rock. It's only found in Statin Island but radon coming from Pennsylvania where I come from has a half-life of about three days and the transit time from the frack oils in Pennsylvania to New York City is about 12 hours, from Ohio maybe 24 hours, so I'm extremely concerned about radon pouring into our pipes.

My other concern is about the terminal point for the Williams NESE Pipeline where it would connect to the Ruckly Lateral Pipeline and then feed into the National Grid connection points up Flatbush Avenue. One of the things that I'm very concerned about is the rising storms and the increased intensity of storms predicted for our area and for the whole planet and when a powerful storm could hit the meter and regulating station in the airplane hangar in Floyd Bennett Field, it could blow that valve wide open, the regulator valve wide open and the 900 pounds of pressure per square inch coming down that pipe could just blast right into Brooklyn and devastate the community.

So, I find that the needs, with which my question about the safety of the underground pipes and the inspection process was dismissed was cavalier. I feel that it's an extremely dangerous situation to bury pipes in what's already known as an extremely vulnerable flood zone as we've seen in our area time and again, especially…

Female Speaker: Thank you.

Coordinator: Thank you, and I have no callers in queue. If you would like to have your line open, please press star 1 and record your name. Thank you. I do have a caller and that is (Dennis Carris), your line is open. Please state your affiliation and your zip code.

(Dennis Carris): Yes, (Dennis Carris) is affiliated with Solarize Albany, New York, and the zip code 12203, and I just wanted to ask, I went online and I did go to www.ngrid.com but when I put slash long term solutions it just came up and said oops, something went wrong so I guess I either didn't spell it with dashes or whatever, but how can I go to long term solutions?

Female Speaker: Okay let me give you that address again. It's N as in National, Grid.com/longterm solutions and I'll repeat it one more time. Ngrid.com/longtermsolultions.

(Dennis Carris): Long term solutions is one word, right?

Female Speaker: Yes, correct.

(Dennis Carris): Okay, now I'll hit enter and I got the same thing. I'm sorry. No, it's not working for me. I am going to ngrid.com. Is there anything on your home

page I can click on? I'm on your ngrid.com home page where it says products, developers, contacts, sign in, any way to get there from there?

Female Speaker: Yes, I believe you can go to our home page and you will be able to get right to the long term solutions website so go to the home page and go to the New York tab and then you'll also see, in the New York tab you'll see metro New York.

(Dennis Carris): I'm sorry, I'm actually on the home page.

Female Speaker: Or you can go to Long Island or New York City once you get to the New York tab. All right? I can have you-and it'll be on the home page. Did you find it?

(Dennis Carris): You know, I am at the home page right now, ngrid.com. I'm definitely at the home page but I don't see anything about clicking to New York.

Female Speaker: Yep and then you can go to New York City or Long Island, all right, or I mean, let me direct you again. You can always go to, and I can spell it out once again for you, or you know what we can do? We can actually give you a call offline and walk you through it if you'd like.

(Dennis Carris): Well, I really think whatever you tell me now would be helpful to others. I am at ngrid.com, the home page.

Female Speaker: All right, let me spell it out for you and then-I'll spell it out once more and then what we'll do is we'll pull it offline and certainly talk to you afterwards if this doesn't work. Let me give you the full address, right? It's https:// N as in National, Grid, G-R-I-D dot com, back slash, long term solutions, long term solutions with an S. Https://ngrid.com/longtermsolutions. If you still have an

issue, we can certainly give you a call offline. Thank you. Thank you for bringing that up for us.

(Dennis Carris): Thank you.

Female Speaker: Next caller.

Coordinator: Thank you, and that comes from (Ed P.), your line is open. Please state your affiliation and zip code.

(Ed P.): Rate payer, 11697, Rockaway Beach. I'd just like to say to the gentleman from Texas, who said that, I can't believe he said this but he said it, that there's nothing wrong with Natural Gas. It's a clean fuel because you cleaned up after the work you did. Okay, talk about being short-sighted. What you don't see is the fact that what you're doing is warming our earth. Now, I don't know if you have any kids or grandkids. How can you look them in the eye and tell them that you are contributing to the demise of the planet?

And the other gentleman who mentioned that he-why are we stopping him from working, he's not stopping us from working, well, I feel sorry but, you know, maybe the state you're from, Texas, is more important to disregard people's health. That's why your frack moved the crap out of the state. That's understandable. However, maybe you should look into renewables, get a job doing that, because there's going to be way more of them than what you're doing now. Thank you very much.

Female Speaker: Thanks, (Ed). Let me just make a clarification, it's htpps, forward slash, forward slash, so my fault, sorry about that. Next caller, please.

Coordinator: That is from (Kenneth Penelecki), your line is open. Please state your affiliation and zip code.

(Kenneth Penelecki): Local 798, 75167, to the gentleman that was just on the phone. Yes, I can look my kids in the eye. We're not damaging this planet. The global warming is a natural process. Look at the planet's history. Open your eyes. Go read a book once in a while. Put some knowledge in your brain, and does natural gas work?

We keep everything clean before, during and after the work. And one more thing to a caller that was on there a little while ago. It doesn't cause cancer. I've been doing this for over 20 years. It doesn't have cancer (fermit). So, where are you people getting your knowledge from is beyond me. Thank you.

Woman: Thank you (Kenneth).

Coordinator: Thank you and up next is (Patrick Houston). Your line is open. Please state your affiliation and zip code.

(Patrick Houston): Hi, I'm (Patrick Houston). Affiliation, I'm with New York Communities for Change, zip code is 11225. Good evening everybody. Again, my name is (Patrick Houston). And just first, New York Communities for Change -- we have thousands of low-income and working-class residents across New York City and Long Island, and we all stand adamantly opposed to the (fracked gas) proposals including the (Williams) Pipeline that are truly threatening the future of this city.

Look, we know that New York City is extremely vulnerable to the current crisis. We all felt the brunt of Hurricane Sandy. Members of NYCC were

displaced from their homes; they lost belongings and they had their homes marked for pre-foreclosure as a direct result of the storm.

The United Nations intergovernmental panel on climate change -- a consortium of non-political scientists from countries all across the globe have been and continue to warn us that the global society must do everything in its power to fight the climate crisis. They warn us that global warming has been accelerating exponentially since the industrial revolution - a natural process thrown way out of whack since the industrial revolution where we're pumping out so many more carbon emissions.

They urge that we drastically cut pollution over the next 10 years to try to avoid catastrophic tipping points and continue beyond that. So, specifically, they're saying that we must move off of coal, off of oil and off of gas to avert unprecedented catastrophe. It's a scary reality. We can ignore it, or we can embrace it for (unintelligible). Right now, now National Grid is ignoring it.

For this reason, New York Communities for Change and our members are doing our part to fight for solutions. New York Communities for Change have fought to pass Local Law 97 -- a massive piece of legislation in New York City which requires that buildings drastically cut their crime of pollution. How so? Through energy efficiency retrofits. By 2030 -- by the year 2030 -- Local Law 97 is going to create over 100,000 jobs for New York City alone.

So, that's just one example. How do we move to solutions? We can create way more jobs. And we have to be well intentioned that workers aren't screwed over.

Woman: Thank you (Patrick).

Coordinator: Thank you. I have no callers at this time. If you would like to have your line open, please press star 1 and record your name. Thank you. I do have a caller. That is (Patrick Houston). Your line is open. Please state your affiliation and zip code.

(Patrick Houston): (Patrick Houston), New York Communities for Change, 11225. Continuing my testimony which started at about 8:25 and finishing here at 8:28. So, this is just one example when we push for solutions, we can create way more jobs than the (unintelligible) industry has and is creating. And again, that's Local Law 97 in New York City that's going to create over 100,000 jobs in retrofits -- energy efficient retrofits in New York City's building stocks by 2030. It's also going to continue to decrease this city's demand for natural gas in the first place.

And we've seen in the past -- in the past three years -- National Grid's projections of gases have consistently been over what the reality has been of gases. And if they continue to make those high estimates, they're continue to overshoot as Local Law 97 goes into implementation.

So, moving on (unintelligible) is actually creating more jobs than it cuts. It opens up our society, our city, our state for more jobs in sustainable energy. And at the same time, it makes sure that we don't (unintelligible) our future. So, we stand to benefit from that. So, we're frightened that the (Williams) Pipeline in New York Communities for Change because we know it's going to pollute our waters.

We know it's going to contribute to climate catastrophe. We know that climate catastrophe means that the Rockaways will be under water by end of century. That lower Manhattan will be under water by end of century. And

all the while it leaves our members of many of the people concerned about employment with more job opportunities.

Finally, it ensures New Yorkers don't get hit with the stranded assets from a ridiculous piece of infrastructure that never should have been built in the first place, especially this late in 2020.

So, we have to - we have a clear choice to make. National Grid has a clear choice to make. We can continue to build out the daily infrastructure of yesterday and wreak chaos on our communities -- or we can build a secure and livable future for tomorrow. The stakes are high. The costs will be greater, but neither can the opportunities.

So, we are reaching out to everyone. We're calling on National Grid to stop pressing these suicidal proposals and -- because that's unlikely, we urge Governor Cuomo and the PSC to put the full force of the New York government and funding behind secure and sustainable and just future for New Yorkers, free of all (unintelligible) and (unintelligible).

Woman: Thank you (Patrick). Thank you.

Coordinator: Thank you, and up next is (Sara Gronim). Your line is open. Please state your affiliation and zip code.

(Sara Gronim): (Sara Gronim), 350 Brooklyn. I pressed star 1 so I could feed by time to (Patrick) because I thought he was so eloquent and really expressed what so many of us believe. Thank you.

Woman: Thank you (Sara).

Coordinator: Thank you. And up next is (Dennis Carris). Your line is open. Please state your affiliation and zip code. (Dennis Carris), your line is open. I am getting no response.

Woman: Why don't we move on to the next caller.

((Crosstalk))

Coordinator: Oh, there he is.

(Dennis Carris): Okay, can (Dennis) talk. You know, why don't I hold and let the next caller come in. As many callers as want. When you don't have a caller, please ask (Dennis) to come back.

Woman: No (Dennis), while you have the line open, certainly, feel free to speak now…

(Dennis Carris): Oh, thank you. I really want to thank everybody for saving our planet because we didn't need the oil when we were growing up and now we really are smart enough with renewable energy -- like solar and wind and all this -- that we can really save our planet. But it's just -- it's not 99% of us -- 1% wants to get that oil, bring it over here, sell it -- instead of a billionaire, they could be a trillionaire.

But the bad news is when I start my car, nobody wants to get behind it and breathe in what's coming out of that exhaust pipe, but that's going up there and they said when the carbon dioxide is going above 800 parts per million, there's no going back. Well, I think it's either there or real close.

So, I really think that peak oil is one of the best things for us when the oil picks out. We really can save our planet. And when you put solar panels on a

roof, you get every penny back. And our country prints money. They don't have to be on your panels or my roof.

There are so many churches and schools, big business buildings, shopping malls -- you put the solar panels on any roof, you get every penny back. I really think that's the only reason our government should be printing money. We really do print trillions of dollars but not a penny for this. I think it was mostly to send our troops overseas where the oil is. So, I really would like to save our planet. Thank you very much.

Woman: Thank you (Dennis).

Coordinator: Thank you and up next is (J.K. Canepa). Your line is open. Please state your affiliation and zip code.

(J.K. Canepa): (J.K. Canepa), Sane Energy Project, zip code 10009. My zip code is in the east coast and I want to talk to our friends in zip code starting with the number seven down in Texas. My first response when I heard you speaking guys is that why are you calling about an issue that we're dealing with here in New York State. We're fighting for our lives up here.

We had terrible storms attacking us and we've gone through a lot of other things too. That was my first thought. And then I thought some more about it and I thought, "We're not just fighting for our lives; we're fighting for your kids' lives." And you may not believe in climate change, but climate change believes in you.

It horrified me a couple of summers ago to see how Texas was hitting over 90 degrees day-after-day-after-day. Texas was really suffering from climate change, and it's really happening. And I want to say that, the one thing about

Texas that really impresses me is that it's number one on the nation in the wind as I understand it. I might be out of date on that.

But the last I checked, Texas was leading the country in wind energy. So, if you're worried about your jobs, your kids' jobs, just get them into wind. Wind is the fastest growing technology right now for young people to learn.

So, take a breath and realize that we're not attacking you and that we really need support from people all across the country in making sure that their children's lives are going to be healthy a thriving and that they have everything we have, and then some.

It's not going to happen if we keep digging for coal and oil and gas and all these vanishing things that are hurting the planet. Thank you.

Woman: Thank you JK.

Coordinator: Thank you, and up next is (Kenneth Penelecki). Your line is open. Please state your affiliation and zip code.

(Kenneth Penelecki): Local 790 (unintelligible), 75167. Now, you guys look at these wind turbines that they're putting up and look at when they fall apart, they are more -- doing more damage to the environment than natural gas does. Natural gas doesn't do environmental damage like these wind turbines do. I mean, look at their batteries when they fall apart. You've got oil and grease and everything else all over the land -- nobody cleans it up. They just let it sit there.

You know, natural gas is way better than electric. It's way better than wind turbines. It's cheaper than your solar panels that get damaged by hailstorms and everything else.

So, I mean, you guys need to really go to school and open your eyes and learn what you're talking about instead of sitting on a phone and computers and opposing everything all the time. You need to open your eyes and study on this stuff. There's nothing wrong with natural gas. Thank you.

Woman: Thank you (Kenneth).

Coordinator: Thank you. I have no callers at this time. If you would like to have your line open, please press star 1. And I did just get a caller. One moment while I obtain their name. Up next is (Vincent Alvanese). Your line is open. Please state your affiliation and zip code.

(Vincent Albanese): Yes, my name is (Vincent Albanese), affiliated with the Laborers International Union in North America. We're located in New York at 11361 Bayside Queens. I, you know, I've been listening in on these calls for, you know, a few of the different sessions. And, you know, it's all well and good in the issue of transparencies and very much appreciate you doing this -- giving people the opportunity to speak.

But it's becoming a little frustrating to sit in and listen on these calls when, you know, no real facts are being discussed. And we have people calling up and they want to (unintelligible) about other National Grid projects about natural gas, about coal, about renewables, about all these other things when really what I thought the purpose of these calls was to be about discussing what the proposed options are to deal with the current gas shortage that we're dealing with.

And of all the options that have been proposed that have been put on the table by National Grid, it still seems to me that the only one is the Northeast

(unintelligible) project -- it's the only project that is viable, period. I don't know what we're actually talking about here. You know, even some of these other combined options -- you know, they're much more costly. A lot of them are unrealistic that they would ever get passed.

And pretty much all of them -- even combining a bunch of them still doesn't get us to the needed supply of the Northeast (unintelligible). You know, I continually listen to people talk about, you know, that this is locking us into generations of natural gas. But maybe somebody could correct me. I'm pretty sure that National Grid is only committed to use this pipeline for 15 years.

So, I don't really understand what these calls are about locking us into generations and generations of natural gas when we have a current natural gas shortage that's been clearly demonstrated and laid out by National Grid. You know, right now four percent of the electricity in the state of the power in New York state is generated by renewables -- four percent.

There's currently 67 proposed renewable projects -- online renewable projects -- wind and solar. There's two large scale offshore proposed projects in New York state. You combine all of those. You have those projects done tomorrow.

Woman: Thank you (Vincent). Thank you.

Coordinator: Thank you and up next is (Dennis Carious). Your line is open. Please state your affiliation and zip code.

(Dennis Carris): This is (Dennis Carris) affiliated with a non-profit called Solarized Albany, zip code 12203. And I really want to say that there is something called peak

oil and when the oil does peak out, we really do have to go in that other direction and the best type of renewable energy to me is solar because you really do get every penny back in a few years and our country prints money.

I can't think of a better reason for our country to be printing trillions of dollars than for solar panels because you get it all back in maybe six years, seven years if there's trees up there, maybe eight years. But you get every penny back. It just seems like such a great way to go, and of course there's no global warming, there's no climate change from solar energy. So, it really would be a great direction to go.

And I think we're really going to stop a lot of what's going on over in the middle east -- we call them terrorists over there. I think a lot of that terrorism is being provoked because we want to get that oil and bring it over here and sell it.

And I would love to ask other questions, but I think in 9/11/2001 in New York City, we did not get the truth -- they said 15 out of 17 -- no, 15 hijackers were from Saudi Arabia but you know, it really is sad because two buildings were hit by planes and they both went straight down. A third building came down that day and it wasn't touched by a plane.

It wasn't touched by either building one or two. Building seven came down -- people working in all three buildings -- I won't call it construction. They heard construction going on a couple of days before then. Some people were told don't come to work on 9/11. And I really think we didn't get the truth that building seven didn't come down because somebody sneezed on it. There was no reason for that building to come down unless all three were designed a couple of days before that to come down.

So, I really would go in a great direction. We're going to stop calling them terrorists over there when the oil peaks out. Thank you.

Woman: Thank you (Dennis).

Coordinator: Thank you I have no callers in queue at this time. If you would like to have your line open, please press start 1 and record your name. Thank you.

Woman: As a reminder, that web site -- and again, my apologies I think I gave the incorrect information earlier -- but it's ingridlongtermssolution.com.

Coordinator: And I do have a caller. (Dennis Carris), your line is open. If you could please state your affiliation and zip code.

(Dennis Carris): Thank you. Once again, Solarized Albany, zip code 12203. And believe me, it's only if other callers are not coming in and rather than just, you know, wait for -- hearing nothing at all -- I would love to talk about this topic because I really think if you're in a country that prints money, why is it that we're not printing a penny for something where you get every penny back.

And believe me, I will stop talking, but if no one else is calling in, I would really like to ask people why our country is not printing a penny for solar panels. We are printing trillions of dollars but not a penny for something where you get every penny back. It just doesn't make sense unless -- I should ask, is there anything dysfunctional that needs reform in our government.

I -- wow, it's sad, because the woman who ran against Donald got three million more votes than him. And I couldn't think of a better first female after 46 males than a woman who's been in the White House for eight years already.

If Hillary's going to bid as President and gets a call that we've got to send our troops into Canada, she could just wake up her husband and say, "No, I shouldn't do that." And Bill could tell her the truth and say, "You're right. They just found a lot of oil under the ground up there. Don't do that."

So, I'm just surprised. There really are more females than males in this country but all 46 Presidents have all been male. And I think Hillary would have been a better President than the one who's in the House right now. I think that we should just reform anything that's dysfunctional and Hillary would do a really good job with that.

So, please let me know if there's any topics I can talk about because I really would like to reform anything that's dysfunctional in our government. Hillary got three million more votes than Donald. Do we really…

Woman: Thank you (Dennis), thank you.

Coordinator: And I have no callers in the queue at this time. My apologies. I do have one and that is from (Kenneth Penelecki). Your line is open. Please state your affiliation and zip code.

(Kenneth Penelecki): Local 798, 75167. You democrats are part of the major problem in this country -- want to shut everything down, turn everything off. Hillary Clinton for President -- what are you drinking or smoking dude, seriously. You need to open your eyes and rethink what politics you follow -- because democrats just want to go communist. So, you know, you need to wake up there, buddy.

Woman: Thank you (Kenneth).

Coordinator: I have no callers at this time. If you would like to have your line open, please press star 1 and record your name. Thank you. I do have a caller at this time. (Dennis Carious), your line is open. Please state your affiliation and zip code.

(Dennis Carris): Thank you. (Dennis Carris) again with Solarized Albany, 12203. And I really do think that we can go in a better direction if we had somebody like the woman who ran against Donald and who got three million more of our votes.

And I was just going to ask after hundreds of years, do we still need an electoral vote in our country if all 50 states use our popular vote to decide where our electoral votes are going instead of just trusting our state, why can't we trust our country with our popular vote. I really think after 46 males, I think Hillary would have been a great first female. And I really do think that if we had just our popular vote, we could be going in a better direction. Thank you.

Woman: Thank you (Dennis). So, based on the hour -- and certainly what I'd like to do with is remind everyone -- and encourage you -- to go visit our web site. Again, ingridlongtermssolution.com to review the full report. The summary report, an overview of the videos and the videos on each option. There you can also provide more feedback, participate in a survey, upload more written comments, and those written comments will be provided directly to the New York State Public Service Commission.

And if for some reason that you or some of your friends might not have the ability to access the internet, please know that you can also forward your feedback by U.S. mail to the Honorable (Michelle L. Phillips), who is the Secretary to the New York State Public Service Commission. She is located at 3 Empire State Plaza, Albany, New York 12223-1350.

Again, her name is the Honorable (Michelle L. Phillips), Secretary to the New York State Public Service Commission, 3 Empire State Plaza, Albany, New York 12223-1350. And since this is our last public meeting, all of the material and feedback collected will be issued as a part of your supplemental report that summarizes and includes oral, public and customer input to enable and agreed upon long term solution or solutions with New York State by June 2020.

This time will enable the solutions or solutions to be in place and in operation by the winter of ’21/’22 -- 2021, 2022. There will also provide a full summary report that will identify all attendants’ numbers, summaries of every comment unabridged and all other pertinent details related to these public meetings.

And again, we point you back to that website ingridlongtermsolutions.com. This concludes tonight’s meeting, and this concludes the public comment period. We thank you for joining us tonight and the feedback and the collections that you collect - that we collected here tonight are valuable part of the public input process. Again, thank you. We wish all of you well and be safe. Thank you. This concludes tonight’s call.

END